

RED HILL VALLEY PARKWAY INQUIRY

TRANSCRIPT OF PROCEEDINGS
HEARD BEFORE THE HONOURABLE J. WILTON-SIEGEL
held via Arbitration Place Virtual
on Wednesday, June 15, 2022, at 9:29 a.m.

VOLUME 31

Arbitration Place © 2022
940-100 Queen Street
Ottawa, Ontario K1P 1J9
(613) 564-2727
900-333 Bay Street
Toronto, Ontario M5H 2R2
(416) 861-8720

APPEARANCES:

Andrew C. Lewis For Red Hill Valley

Chloe Hendrie Parkway

Eli Lederman For City of Hamilton

Delna Contractor

Sahar Talebi

Heather McIvor For Province of Ontario

Colin Bourrier

Chris Buck For Dufferin Construction

Vincent Luciani

Jennifer Roberts For Golder Associates

Nivi Ramaswamy Inc.

Fabiola Bassong

INDEX

	PAGE
LUDOMIR UZAROWSKI; PREVIOUSLY AFFIRMED	5471
EXAMINATION BY MR. LEWIS	5471

LIST OF EXHIBITS

NO.	DESCRIPTION	PAGE
77	1997 TAC guide, GOL3936.	5611

1 Arbitration Place Virtual

2 --- Upon resuming on Wednesday, June 15, 2022,

3 at 9:29 a.m.

4 MR. LEWIS: Good morning,
5 Commissioner.

6 JUSTICE WILTON-SIEGEL: Good
7 morning.

8 MR. LEWIS: Dr. Uzarowski.

9 THE WITNESS: Good morning.

10 MR. LEWIS: Good morning.

11 Dr. Uzarowski testified previously at the end of
12 April, so we don't need to affirm his evidence
13 again, but could the court reporter please remind
14 him that he remains under affirmation.

15 LUDOMIR UZAROWSKI; PREVIOUSLY AFFIRMED

16 MR. LEWIS: And there is a lot
17 to cover with Dr. Uzarowski, and so our plan, as
18 discussed with counsel, is likely to finish each
19 day at approximately 3:30 so as to not wear the
20 witness out. Unless advised otherwise by counsel
21 for Golder, that would be our plan, Commissioner.

22 JUSTICE WILTON-SIEGEL: Thank
23 you.

24 MR. LEWIS: And, as well, I'm
25 not going to go through Dr. Uzarowski's

1 background, as we did so when he testified in
2 April and when he was talking about
3 pre-construction and construction issues.

4 EXAMINATION BY MR. LEWIS:

5 Q. Now, Dr. Uzarowski, last
6 time we did discuss your note taking practices
7 and, in particular, we did so in the context of
8 notes during the pre-construction and construction
9 phase.

10 Did your note taking practices
11 remain the same in later periods, say, between
12 2012 and forward, as they did prior to that
13 period?

14 A. Yes, it remained
15 constant. Maybe not perfect, but that was my
16 practice.

17 Q. Right. And your typical
18 practice, then, was on occasion to take notes both
19 in preparation for meetings and calls and as well
20 during meetings and calls, not perfectly, not
21 always the same, but you did both of those
22 activities?

23 A. Yes. For preparation, I
24 would go item by item what I would like to cover.
25 And during the meeting, I would try to cover all

1 items that were on the list and I could sometimes
2 make additional notes. Or, if it was a phone
3 call, something unexpected, then I would simply
4 grab a pen and write my notes, not in the same
5 order or not as tidy as in the preparation of.

6 Q. Okay. So, mostly when I
7 refer to your notes, I'll either be -- if it's in
8 the overview document, I'll refer to it there, or
9 in the typewritten version, where available, that
10 you prepared for the inquiry rather than the
11 original handwritten notes, for the most part.

12 So, I would just like to first
13 talk about your experience working with Mr. Gary
14 Moore in the period after completion of the Red
15 Hill construction and Mr. Moore's retirement.

16 And am I correct that
17 Mr. Moore was your primary contact at the City
18 regarding Red Hill and pavement related matters
19 until his retirement in 2018?

20 A. Yes. Mr. Moore was my
21 primary contact. Also, I contacted sometimes a
22 large number of people because he got involved a
23 larger number of people. But then Mr. Mike Becke,
24 he became the project manager on process of hot
25 in-place recycling investigation, so he was --

1 then he became the main contact. And more
2 frequent contact for, you know, that time of --
3 that period of time.

4 Q. Right, and then we're
5 getting into the much later period at that point?

6 A. Right.

7 Q. And we'll get there, but
8 up until that point Mr. Moore was your primary
9 contact?

10 A. Yes. The main contact
11 was Mr. Moore. So, I contacted other people, but
12 the main was Mr. Moore.

13 Q. Okay. And what was your
14 impression of Mr. Moore in terms of interest in
15 innovative ideas and new technologies?

16 A. Well, he was very
17 interested in innovations and actually he
18 introduced a large number of innovation. I can
19 only talk about pavement and materials aspect.
20 So, he was always very keen and he was recognized
21 for this. And yes, you know, extremely keen on
22 innovations, very devoted to improvement of
23 asphalt technology and implementing innovations
24 and also what was used, maybe not on a regular
25 basis but wider use on hot mix asphalt and other

1 technologies.

2 Q. And could you describe
3 where your meetings with Mr. Moore, if they were
4 in person, where and when did those typically take
5 place?

6 A. If they were in person,
7 like face to face only with Mr. Moore, then they
8 would typically be in his office. And, typically,
9 I would come to his office at 8:00. He started
10 working early, so I would come at 8:00. I would
11 call him on my iPhone, he would come to the door,
12 open the door, and the meeting would typically be
13 one hour. So, from -- yeah, one hour, so the
14 first half an hour was okay. He was available.
15 But then after, you know, about 8:30, then the
16 phone started ringing and, you know, he was less
17 available than in the first half an hour.

18 Q. Okay. Because he was
19 pretty busy and people would start to contact him
20 as they arrived. Is that your impression?

21 A. Oh, yes. He was very
22 busy. This is why he used to come to the office
23 early, so he told me that he could do more at
24 early hours than later, because there were, you
25 know, always phone calls. This is what I

1 observed.

2 Q. Okay. And how did that
3 affect your preparation for meetings with him?

4 A. You know, before that
5 meeting, I prepared my notes, so I prepared a list
6 of subjects that I wanted to discuss with him and
7 I anticipated that, you know, it will be a
8 relatively short time, so I knew I had to go
9 through item by item just to make sure that I
10 covered the subject. That was my routine that I
11 developed working for John Emery, so I would just
12 follow the list, make sure that I cover it.

13 Q. Okay. And what was your
14 perception of how well Mr. Moore understood the
15 role of pavement in roadway design and performance
16 and friction issues specifically? Did you develop
17 an impression of that?

18 A. Mr. Moore, he was a very
19 good engineer and a very intelligent person.
20 Obviously he was not a pavement and materials
21 engineer, so, you know, his area was much wider
22 than this, but he had, you know, a good
23 understanding. And, you know, when it comes to
24 friction, he wasn't a friction expert, but I think
25 he had some understanding of the subject of

1 friction. Not an expert, but some understanding.

2 Q. Okay. And on that topic,
3 so did he appear to understand, from your
4 impression, what microtexture and macrotexture
5 were, for example?

6 A. I think he did, very
7 likely. I can say yes, he did, but it was such a
8 common subject covered everywhere, in every book
9 and CTAA conference. Everybody was talking about
10 it, so it was a very well-known subject.

11 Q. And what about, like, the
12 coefficient of friction, what that was, how it was
13 arrived at, is that something you felt that he
14 understood?

15 A. I think he probably had
16 some general understanding, but I don't think he
17 understood details of this. So, general, probably
18 some general understanding, what it should be.

19 Q. What about the
20 relationship of testing speed to test results,
21 friction test results?

22 A. You know, I think
23 probably some very general understanding that, you
24 know, friction is related to speed. I know in the
25 past he was a co-author of a paper on this, so

1 some general understanding but probably not too
2 detailed. Common sense understanding, I would
3 say.

4 Q. And when you talk about
5 being co-author of the paper, are you talking
6 about the 2002 CTAA paper regarding the Burlington
7 Street SMA project? Is that the one you're
8 talking about?

9 A. Yes, I'm talking about.

10 Q. And did he appear to you
11 to understand that there were different friction
12 testing devices and what those devices were?

13 A. I think he must have had
14 some understanding because in that paper I know
15 that JEGEL did use British pendulum test there and
16 also, I think, the locked-wheel tester was used,
17 so he must have had some understanding that there
18 were different pieces of equipment, but I don't
19 anticipate he would knew details.

20 Q. Well, apart from that
21 paper, what was your impression?

22 A. I don't think that he
23 understood, you know, different pieces of
24 equipment, just there were different methods. But
25 that was my impression.

1 Q. He knew that there were
2 different methods but not necessarily the
3 specifics of them?

4 A. Yes.

5 Q. Okay.

6 A. Exactly.

7 Q. And we'll get to some
8 specifics later when we start looking at the
9 various test results and reports, but did you have
10 a sense of whether Mr. Moore understood if results
11 from different testing devices could be compared
12 to one another and correlated?

13 A. I think they are two
14 different things, compared and correlate.
15 Correlate is probably more precise. Compare, you
16 can always compare. But I don't know to what
17 level his knowledge was. I think, you know, you
18 can compare. You can compare. What is low in one
19 method is also low in another method, what's good
20 in another method is good in -- in one method is
21 good in another method, but probably not.
22 Correlation is the next step. Correlation is more
23 precise.

24 Q. Correlation meaning, I'm
25 not saying this is what it is, but, you know, FN30

1 equals GN40 or something like that. When we speak
2 of correlation specifically, that's the kind of
3 thing you're talking about? When you can actually
4 take one number from one type of testing and say
5 it equals the number from another type of testing,
6 that's correlation?

7 A. Yes, that's what I mean
8 by correlation.

9 Q. Okay. And did you ever
10 doubt that Mr. Moore understood what you told him
11 or what you reported in your reports?

12 A. No. I think it was clear
13 what was in the report. It was the evaluation
14 report that covered two aspects. I think it was
15 clear.

16 Q. No, I mean just
17 generally. Your impression of Mr. Moore, did he
18 ever give you any sense that when you were
19 speaking to him of technical concepts or when you
20 were delivering report results or delivered a
21 report itself, did you ever get a sense from him
22 that he didn't understand what you were telling
23 him?

24 A. No. In my opinion, he
25 had a good understanding of what I was talking

1 about, what the recommendations -- what the
2 findings and recommendations were.

3 Q. Okay. I would like to go
4 back to one matter from your testimony on
5 April 28, because a further document has been
6 produced since then, so I'll just put this in
7 context for you.

8 I asked you about e-mails
9 between two individuals at the Ministry of
10 Transportation on November 15, 2010. It was
11 between Becca Lane and Frank Marciello on that
12 date.

13 And, Registrar, if we could go
14 to overview document 4, image 90, 9-0, and it's
15 paragraphs 212 and 213. If you could call those
16 out.

17 This is respecting the e-mail
18 communications between Mr. Marciello and Ms. Lane
19 on November 15, 2010 respecting the friction test
20 results that the MTO had taken and then Ms. Lane
21 saying:

22 "Good stuff, Frank. Thank
23 you. Perhaps I will call
24 Ludomir for a City of Hamilton
25 contact."

1 And then she asks
2 Mr. Marciello for the most recent friction test
3 results on the Red Hill from the spring of 2010.

4 And then you testified in
5 April that you did not recall Ms. Lane contacting
6 you in and around that time and that you didn't
7 think that she did so, although you did refer to
8 her doing so a number of years later about a
9 different topic about the Red Hill in
10 January 2016.

11 And so, now, if you can take
12 that down, Registrar, and go to Golder 7502, which
13 is Exhibit 44, and it's image 2.

14 And this is a note of yours
15 dated Monday, November 15, 2010 that counsel for
16 Golder sent to us after Ms. Lane's first day of
17 testimony last month. Could you explain what
18 caused you to look for this note and have it sent
19 to us at that time?

20 A. Yeah, because, you know,
21 when I found out that Ms. Becca Lane wanted to
22 contact me to get the contact for Hamilton, then
23 I -- at that initial, I didn't remember, but then
24 where I checked my notes. I took in my notes of
25 everything and then I noticed that on that

1 particular day, I had that note, and I informed
2 our counsel that I found that note.

3 Q. Do you mean after hearing
4 her testimony?

5 A. Yes.

6 Q. And it does refer to both
7 friction and it says, "Becca Lane, 2007 friction
8 on the RHVP." Do you know how you missed that in
9 your other reviews of your notes?

10 A. No. I have, you know,
11 probably a thousand or maybe a few thousand of
12 pages of my notes, so in preparation for this
13 inquiry I went through my notes and I was
14 basically looking Red Hill Valley Parkway,
15 Hamilton and Gary Moore, so, you know, under those
16 names. So, whatever I found, then I would scan
17 and pass to the inquiry.

18 But I didn't check under Becca
19 Lane, but I look at, you know -- then when I look
20 at that particular date, I noticed the name, Becca
21 Lane. And so, initially I missed it, but then
22 when I was looking at the date, I found I had a
23 note.

24 Q. Now, Ms. Lane, as you
25 know, testified that she didn't have a specific

1 recollection but she thought that she would have
2 contacted you and then her note confirmed her
3 evidence on that point.

4 With the benefit of this note
5 now, is your memory refreshed as to Ms. Lane
6 contacting you on November 15, 2010? Do you
7 recall anything about it at this point?

8 A. I don't recall this thing
9 exactly, but if it's in my note, then I'm positive
10 she called me.

11 Q. Okay. So, you don't
12 actually recall it, but you have no doubt that she
13 did?

14 A. Yeah, exactly.

15 Q. Okay. And it says,
16 "Becca Lane, 2007, friction on RHVP." Does that
17 tell you anything about your conversation?

18 A. You know, when I look at
19 this now, I think, you know, in 2010, there was
20 still the moratorium on this stone mastic asphalt
21 because of the issues with early life friction of
22 SMA. And, as you know, the tests of SMA on the
23 Red Hill Valley Parkway indicated that the values
24 were significantly better, what was IRS or what
25 was typically observed by MTO and was shown in the

1 2009 paper, I think it was 2009 CTAA paper. So, I
2 thought, when I look at this, that was the subject
3 that she discussed with me.

4 Q. Sorry, the topic being
5 that -- you mean about the early age friction
6 issue, early age low friction issue, SMA?

7 A. Yes. When I look at my
8 notes, you know, 2007 friction on the Red Hill
9 Valley Parkway, that would be, you know, when I
10 wrote that note, that would be the justification
11 of this. She talk about 2007 friction on the Red
12 Hill Valley Parkway.

13 Q. Okay. So, we know that
14 what prompted Ms. Lane to contact you was her
15 e-mail exchange with Mr. Marciello about the
16 discussion about 2010 results. You don't have any
17 recollection of that being discussed?

18 A. No. No. I didn't know
19 and, actually, it would be very likely of interest
20 to me, but I learned about this later in 2018 that
21 MTO did further testing on the Red Hill Valley
22 Parkway, not at the time.

23 Q. Right. And is that
24 something you would have noted if she had
25 mentioned it to you, that the MTO had done further

1 testing?

2 A. Oh, definitely, and I
3 would write a note about this.

4 Q. Okay. And the internal
5 MTO e-mail communications indicated that Ms. Lane
6 was going to perhaps contact you for a City of
7 Hamilton contact. Do you have any recollection of
8 whether you did or did not give her that contact?

9 A. No, I don't recall. If I
10 gave her any contact, that would very likely be
11 Mr. Gary Moore, but I don't recall what
12 information I gave her.

13 Q. Okay. If she in fact did
14 ask you for a contact, you would have given it
15 her, I take it?

16 A. Yeah, of course. I would
17 give her the contact. Later on, in 2016, this is
18 what I -- yeah, definitely I would.

19 Q. Actually, I think it was
20 2016, but you're referring to the later instance
21 where she contacted you and you in fact contacted
22 Mr. Moore yourself. Right?

23 A. Yes.

24 Q. Okay. And so, is it
25 possible that in this instance you also contacted

1 Mr. Moore in addition to giving her his contact
2 information?

3 A. No, I don't think so,
4 because I have no note about it, so I think I
5 didn't.

6 Q. Okay. You can take that
7 down, Registrar. Thank you.

8 Now, we know that you were
9 involved in three phases of what were called the
10 pavement and materials technology review project
11 for the City of Hamilton or sometimes called the
12 PMTR for short, which I believe ran in a few
13 phases from 2009 to 2013. Do you recall that?

14 A. Yes, I do.

15 Q. Okay. And we're not
16 going to go to all of these references, but the
17 phases are covered in overview document 5,
18 paragraphs 51 to 69, overview document 6, 28 and
19 30, and there may be others, but overview
20 document 6, paragraph 213.

21 So, before we get into
22 specifics and the three phases, could you tell us
23 how Golder came to be retained on these projects
24 and then what, generally speaking, they were?

25 A. Mr. Gary Moore talked to

1 Golder, to me, and he was concerned that the
2 pavement in the City of Hamilton were
3 underperforming. And you'll show later on, I
4 believe, that they had extensive network of
5 pavements of certain value and that would require
6 certain budgets. Their budget was much smaller,
7 so he wanted to improve the performance of the
8 pavement to make sure that he would get what he
9 anticipated. So, it was a long-term objective to
10 improve pavement performance.

11 Q. Okay. And am I correct
12 that the project overall and the use of the three
13 phases, they weren't specifically related to the
14 Red Hill Valley Parkway? Am I correct?

15 A. No, no, they were not
16 related to Red Hill Valley Parkway.

17 Q. And so, if we could go to
18 overview document 5, images 24 and 25, please,
19 Registrar.

20 And in paragraphs 51 to 53
21 describe Golder's report to Mr. Moore, phase 1 of
22 pavement and materials technology review, and in
23 paragraph 52 it indicates that Golder's tasks for
24 phase 1 included inspection of visual pavement
25 conditions, review of the City's pavement

1 maintenance, rehabilitation and construction
2 specifications from a QC/QA point of view, site
3 visits to select construction sites, review of
4 materials, test results from contractors, review
5 of QA test results, development of recommendations
6 for improvement for construction quality, staff
7 training and assisting staff with implementing
8 recommended changes and preparing a report.

9 Is that a fair description of
10 phase 1 and what it was about?

11 A. Yes, it is.

12 Q. And then phase 2, if we
13 could go to overview document -- actually, just
14 the next two images, 26 and 27, and paragraphs 57
15 and 58 talk about phase 2 in the Golder proposal
16 that you submitted on that setting out the scope
17 for it. Does that describe, generally speaking,
18 the work that Golder did on phase 2?

19 A. Yes. Yes, it does.

20 Q. And I don't think we need
21 to go to it, but there was a report that Golder
22 did for phase 2 dated April 2012. Does that sound
23 about right in terms of the timing?

24 A. Yes, it is.

25 Q. Okay. And, for

1 reference, this is at -- maybe we can go to it --
2 overview document 5 still at the next page, 28, at
3 paragraph 61 and 62. It doesn't actually state
4 the date in 61, but it was from April of 2012.

5 So, again, the report
6 addressing various items related to pavement
7 maintenance, rehabilitation and preservation and
8 discussing asphalt mix designs, including SMA
9 mixes, based on OPSS.MUNI1511 and mix design
10 methodology.

11 So, that part of it is
12 involved in -- again, fair description of the
13 report?

14 A. Yes, it is.

15 Q. And then this is just in
16 terms of the timing about what Golder was doing
17 with the City during this period.

18 If we could go to overview
19 document 6, Registrar, images 15 and 16, and
20 paragraph 28 first of all, which straddles the
21 pages.

22 On March 1, 2013, you e-mailed
23 Mr. Moore and stated that, as discussed this
24 morning, you were attaching an authorization to
25 proceed and consulting services agreement and

1 three proposals for work, with this first being
2 activating the instrumentation on the Red Hill
3 Valley Parkway, the second being phase 3 of the
4 pavement and materials technology review. That's
5 phase 3 of what we were just talking about, the
6 PMTR. Is that right?

7 A. Yes, PMTR, phase 3. Yes.

8 Q. Right. And then the
9 third at the top of image 16, "Pavement Condition
10 Evaluation on Red Hill Valley Parkway Five Years
11 After Construction."

12 And then if we could go -- and
13 we'll come back to the third one in a bit, but if
14 we could go now to call out paragraph 30, and this
15 is about phase 3 of the PMTR.

16 And is this a fair summary of
17 what phase 3 was about?

18 A. Yes, I think it is. Yes.

19 Q. So, implementing, to
20 start with, phase 1 and two recommendations. And
21 one of the things I see there is analysis of the
22 feasibility of using high recycled asphalt
23 pavement mixes. That's one of the things that you
24 covered in phase 3?

25 A. Yeah. I think the main

1 purpose was to review the implementation of phase
2 1 and phase 2, because it's easy to recommend and
3 if it's not implemented, that would be waste. So,
4 first, that was the main purpose and then some
5 other items. One of them was using high
6 percentage of recycled mixes and recommendation
7 for analysis and also, you know, using composite
8 pavements or, you know, in this case, we called it
9 concrete basis and pavement structure, so it's a
10 composite pavement.

11 Q. Okay. And then I think
12 if we go to image 82, overview document 6.

13 Just to date this,
14 paragraph 213 indicates that at least the initial
15 draft of the PMTR phase 3 report, you sent to
16 Mr. Moore on December 31, 2013. That's something
17 that you were working on throughout 2013?

18 A. Yes. Yes. Yes, I did.

19 Q. All right. And were
20 those, the PMTR, different phases, were those the
21 primary Golder engagements with the City up until
22 at least 2013? From 2009 to 2013, were those the
23 primary Golder engagements or at least the ones
24 that you were involved in?

25 A. Of my part on pavement

1 and materials, because there were also other
2 members of Golder involved, but for me, yes, that
3 was the main engagement of Golder, my group, yes.

4 Q. Okay. If you could take
5 that down, Registrar, and go to image 7 of
6 overview document 6.

7 And in paragraph 9, it refers
8 to an entry in your notebook on November 21, 2012
9 refers to Hamilton and then RHVP monitoring
10 stations start and five years later. Do you
11 recall what this is about?

12 A. Yes. The monitoring
13 station, actually, that monitoring station was
14 installed in 2007, but, you know, there were some
15 issues after flooding, some technical issues after
16 flooding. And also, the City of Hamilton wanted
17 automatic connections through internet, so they
18 didn't have to drive to the station to download
19 but they could do it over internet, so that was
20 this piece.

21 And then five years later,
22 that was the condition of the pavement on the Red
23 Hill Valley Parkway five years after construction.

24 Q. Okay. So, just on the
25 first part you referred to, at the time of

1 construction of the Red Hill, there was the
2 instrumentation we've seen previous reference to
3 where monitoring for the permanent pavement was
4 put in place at the time and this is a followup on
5 that. Is that right?

6 A. Yes, it is.

7 Q. Okay. And then the five
8 years later, the condition of the pavement five
9 years after construction you mentioned, so does
10 this reflect a discussion that you were having or
11 a meeting or what?

12 A. Yes. It probably -- you
13 know, if it's ten years ago I don't remember
14 details, but I think it was probably the initial
15 discussion about the idea of evaluating of
16 pavement condition five years after construction.

17 Q. And, sorry, initial
18 discussion with who?

19 A. That would be very likely
20 with Gary Moore.

21 Q. Okay.

22 A. With Gary Moore.

23 Q. And if we could pull up
24 images 11 and 12, at paragraph 18, which straddles
25 the two pages.

1 On February 1, 2013, you
2 e-mailed Mr. Moore that you were attaching an
3 abstract for a proposed paper for TAC 2013, and
4 that's the Transportation Association of Canada.
5 Is that right?

6 A. Yes, it is.

7 Q. And their annual
8 conference?

9 A. Yes, for the annual
10 conference in --

11 Q. Okay. And it attached an
12 abstract, you attached an abstract, of a paper
13 titled "Evaluating Performance of the Perpetual
14 Pavement on the Red Hill Valley Parkway Five Years
15 After Construction." And then the abstract itself
16 is set out in full there.

17 Maybe if you could just call
18 up the indented text there. Thank you.

19 So, you sent this to Mr. Moore
20 and it lists you, Mr. Moore and Vimy Henderson of
21 Golder as the authors. Was this paper your idea
22 or someone else's idea? Do you recall?

23 A. I think it was my idea,
24 yes.

25 Q. All right. And had you,

1 prior to your sending this abstract to him, had
2 you discussed with him doing a five-year
3 performance review?

4 A. From that note, I think I
5 likely talked to him, but here in the abstract,
6 there are more details about this, but this is
7 only an abstract, an idea what would be in the
8 paper.

9 Q. Right. But presumably
10 there's a distinction between the paper and the
11 actual five-year performance review study?

12 A. Yes.

13 Q. Right?

14 A. Yes.

15 Q. Is that fair?

16 A. Yes.

17 Q. And at this point, had
18 you actually conducted any investigations
19 respecting the Red Hill Valley Parkway condition
20 or performance after five years?

21 A. No. I didn't do any
22 investigation, just, you know, visual, overall
23 visual impression. Not evaluation, but visual
24 impression, just driving to the -- you know,
25 mainly driving to the station, because the station

1 was just next to the Red Hill Valley Parkway, so I
2 could see the pavement.

3 Q. Sorry, the station, do
4 you mean the monitoring station?

5 A. The monitoring station,
6 yes.

7 Q. Okay. And had you spoken
8 to Mr. Moore about doing a paper prior to sending
9 this to him?

10 A. I'm not sure about the
11 paper because then, you know, Mr. Moore was not
12 interested in writing a paper, so he was yes to
13 evaluation but no to paper, I would say.

14 Q. Okay. We'll get to that.
15 He responds subsequently about a lack of interest
16 in the paper. What was your impetus for doing the
17 paper? You said you think to spoke to him
18 previously about doing the actual review. What
19 was your impetus for wanting to do this paper?

20 A. First, there was a lot of
21 interest. You know, that was the first municipal
22 perpetual pavement in the country and with some
23 innovative technology, so there was interest. It
24 would be very interesting to see how this thing is
25 performing. And, you know, at the same time, you

1 know, I knew about the two flooding events on the
2 Red Hill Valley Parkway and, you know, driving
3 there, you know, I knew there was some, at that
4 time, low severity cracking, so I was interested
5 in the condition of the pavement.

6 Q. And, in the last two
7 paragraphs, we've got it already called up but in
8 the second last paragraph beginning, "Five years
9 after construction of the pavement," I want to
10 focus on that. In the last paragraph it
11 contemplates certain investigations and analysis
12 and presumably that includes various tests --
13 thank you, Registrar -- to be carried out to
14 evaluate the Red Hill performance. Is that
15 correct?

16 A. So, those tests, the
17 paper discusses advanced material characterization
18 test were used during construction, so that was,
19 you know, I would say, unique, like, you know,
20 testing those characteristics. And then also the
21 information from the instrumentation that was
22 installed in the pavement and then was monitored
23 in the monitoring station. So, that was unique,
24 so that would be very -- I think a very
25 interesting for the industry.

1 Q. But then in the last
2 sentence it talks about field investigations
3 carried out on the RHVP in its fifth year of
4 service and the detailed analysis carried out to
5 evaluate its performance to date and evaluate the
6 impact of measured performance on its life cycle.
7 Is that anticipating testing to come?

8 A. Yes. Yeah. This
9 would -- so, it was, like, initially what was
10 installed, how this thing was constructed, how it
11 was monitored. And then the third stage will be
12 the evaluation, how -- of the performance, how it
13 looks like now. Now, I mean, you know, five years
14 after construction.

15 Q. Okay. And what was the
16 intention in terms of how this was going to be
17 funded, these future testing and investigations
18 and analysis that are referred to in the paper?

19 A. So, you know, the
20 evaluation, I anticipate evaluation would be
21 funded by the City. But the paper, we wrote the
22 paper in our own time.

23 Q. So, you're talking then
24 there's the actual report, investigation, the
25 five-year investigation that you say you think you

1 already talked about with Mr. Moore, and then the
2 paper on the side. Is that fair?

3 A. Yes. So, it would be the
4 evaluation, you know, some testing and report.
5 That would be one part. Another part would be the
6 paper.

7 Q. All right. And is it
8 similar in that way to the feasibility study back
9 in 2005 and the CTAA paper that we talked about in
10 your previous evidence? So, the one hand you've
11 got the feasibility study and the other hand
12 you've got the paper going at the same time. Is
13 that the idea?

14 A. Yes. It may be similar,
15 but here we would have, you know, realistic data,
16 realistic data of the performance.

17 Q. Yeah. Sorry. I just
18 mean I'm just talking about the timing of when the
19 report for the City and, on the other hand -- or
20 the study for the city and then on the other hand
21 the paper. Similar approach. Is that fair?

22 A. Yeah, that would be --
23 and, you know, if we have the information from the
24 evaluation, just write a report, a paper, a
25 technical paper on this, what we observed.

1 Q. Okay. And then in the
2 second last paragraph that starts off, "Five years
3 after construction, the pavement is in excellent
4 condition," what is that based on?

5 A. Oh, it is based on the
6 visual impression. I think the pavement was in
7 excellent condition. I have to clarify that
8 excellent condition doesn't mean perfect, but, you
9 know, if -- like, technically, I don't know if you
10 want me to elaborate a little bit of this.

11 We used, for instance,
12 pavement condition index to evaluate pavement
13 condition. The perfect condition is 100, but PCI
14 of 100 to 85, if a pavement has PCI of 85 to 100,
15 it's considered to be excellent condition and then
16 the ranking goes down to very good, good, et
17 cetera, to fair.

18 And, for instance, Stantec, I
19 think when they prepared the report, I think, in
20 2019, they used OCI, which is overall condition
21 index. For excellent pavement, their ranking was
22 81 to 100. So, excellent doesn't mean perfect,
23 but it's still, you know, better than very good.
24 So, there are some -- you can anticipate some
25 distresses, but not some, you know, very severe

1 fractures. Some stresses could be anticipated and
2 the pavement could be still classified as
3 excellent.

4 Q. But that ranking that you
5 refer to, is that a ranking that's based after
6 testing or is that a ranking that is based on a
7 visual inspection?

8 A. No. At that point of
9 time, it was based on my -- before visual
10 condition, that was my visual impression.

11 Q. Right. Okay. I
12 understand it was at this time. You're quite
13 clear about that. But normally when you are
14 giving a ranking of that sort about the condition,
15 is that typically a ranking that you would give in
16 a report after having done various tests in
17 addition to a visual, or is that always something
18 that's restricted to a visual inspection, that
19 ranking to which you refer?

20 A. Well, you know, it
21 depends what index you use, but, you know, if you
22 talk about PCI or pavement condition index, it's
23 based on visual.

24 Q. Okay. And here, though,
25 this is abstract is actually speaking in the past.

1 Right? In that very last sentence that we looked
2 at in the last paragraph, right, it's talking
3 about the paper will discuss the various field
4 investigations carried out on the RHVP in its
5 fifth year of service and the detailed analysis,
6 so it's speaking in the past tense about things
7 that haven't occurred yet. Correct?

8 A. Yes.

9 Q. Okay. Because the
10 anticipation is that this paper is going to be
11 reflecting tests to be done in the future. Right?

12 A. Yes. Yes.

13 Q. Okay.

14 A. It is.

15 Q. And by characterizing it
16 as excellent at this point, perhaps does that
17 suggest a predisposition to find it to be
18 ultimately in good or excellent condition, given
19 that tests haven't actually been done on it?

20 A. Yes. You know, I've been
21 doing this thing now for 48 years, so I know
22 likely what to anticipate. So, I think I would
23 anticipate it would be as I identified, yes.

24 Q. If we could take that
25 down and paragraph 19 on image 12, if you could

1 call that out.

2 I think this is what you were
3 referring to before. On February 5, 2013,
4 Mr. Moore responded to you by e-mail and said:

5 "I don't see anything that is
6 using the data gathered over
7 the last five years or the
8 evaluation of performance.
9 Everything is just a rehash of
10 the original design and
11 previous work. I can't really
12 support this going forward as
13 is."

14 Were you surprised by this
15 response?

16 A. Well, you know, maybe not
17 surprised. I can say disappointed, but, you know,
18 the client is the client. You know, it's his
19 road, his decision. If he's not interested, this
20 is it.

21 Q. All right. Did you agree
22 or disagree with his statement that everything is
23 just a rehash of the original design and previous
24 work?

25 A. No. It's really not

1 original then because, you know, we would show,
2 you know, the current performance and this is what
3 was -- the interest of some agencies. Like, you
4 know, you have the cracking. Is it only top-down
5 cracking? So, it wouldn't be a rehash. But, you
6 know, Gary's decision is Gary's decision. He's
7 not interested, so, for me, that was it.

8 Q. Okay. And then if we
9 could go to image 14 and paragraphs 26 and 27.

10 We'll go to the notes
11 themselves in a second, but it indicates you
12 attended a meeting at Mr. Moore's office on March
13 1, 2013 at 9:00 a.m. and there's an appointment
14 that was sent which said the subject of the
15 meeting was the "Red Hill Valley five years
16 later/instrumentation/phase 3 technology review."

17 And if we could go to the
18 notes themselves, Registrar, it's RHV933 at
19 image 595. The overview document has the
20 handwritten note, so this is easier to review.

21 Do you recall this meeting?

22 A. I don't recall details,
23 but, you know, if I had notes, then definitely the
24 meeting occurs and this is what was discussed.

25 Q. All right. Do these look

1 like the kind of notes that you would have made
2 prior to the meeting or during the meeting?

3 A. No. They are too tidy.
4 That would likely be before. But then I would
5 also add some comments, yes, later on.

6 Q. Okay. Now, if these are
7 typewritten after the fact, they were handwritten
8 notes at the time. Tidy just in the sense of
9 setting out bullet points that you're covering.
10 Is that what you mean?

11 A. Yes. I typically put
12 dash. And I would have to look at my handwritten
13 notes, you know, to see how tidy they are, but
14 they look to me like likely prepared before the
15 meeting, but also some items later on added.

16 Q. All right. And so, if
17 it's talking about those three items and it says:

18 "Meeting with Gary

19 1/RHVP

20 - instrum

21 - five years"

22 Is that the five-year review
23 that we were just discussing?

24 A. Yes. Yes, it was.

25 Q. And instrum is

1 instrumentation?

2 A. Instrumentation.

3 Q. And then PMTR phase 3,
4 that's the third phase of the pavement
5 materials -- sorry, I'm better with the acronym
6 than I am with the full name. The PMTR, phase 3?

7 A. Yeah.

8 Q. Okay. And then, if we
9 could pull that down and images 15 and 16 in
10 overview document 5. Actually, maybe go back to
11 14 just for one second. Sorry, you're in overview
12 document 5. I meant 6. I apologize. There we
13 go, there's 15.

14 So, those are your original
15 handwritten notes, just because you mentioned
16 wanting to see them. Do those look like notes
17 that you would have taken beforehand?

18 A. Yeah. You know, they
19 are -- I would say they are too tidy. They would
20 probably be before, but the last ones may be
21 after. But also, I -- sorry I bring. There was a
22 typo in that typed notes because the last note was
23 GPR, not GIR, GPR, because I don't know what GIR
24 would be. It's GPR, longitudinal and
25 transversely.

1 Q. Okay. The very last one?

2 A. The very last one, GPR.

3 The P is, like, you know, my handwriting is not
4 very --

5 Q. You're saying in the
6 transcribed typewritten note, it says GIR, which
7 you're correct, but that's wrong?

8 A. I overlooked this thing.
9 It should be GPR.

10 Q. Okay. Thank you. All
11 right. So, if we could go to 15 and 16. We have
12 15 up already.

13 And you sent Mr. Moore an
14 e-mail on March 1. I can tell you it was in the
15 evening. And you say:

16 "As discussed this morning --"

17 I take it you're talking about
18 the meeting that we were just looking at. And
19 then you sent him three proposals, and we looked
20 at this paragraph briefly before, one being
21 activating the instrumentation for the Red Hill,
22 second, phase 3 of the pavement and materials
23 technology review, and the third being the
24 pavement condition evaluation on the Red Hill
25 Valley Parkway five years after construction.

1 And so, is it that meeting
2 when Mr. Moore asked you for the proposal on the
3 five years after construction project?

4 A. I think yes. All three
5 times, yes.

6 Q. Okay. Yeah, as well as
7 the other two?

8 A. Yeah, yeah.

9 Q. All right. And if we
10 could keep 16 up and add 17, please.

11 Paragraph 31, this is with
12 respect to the five-year review project, this is
13 paragraph 31, indicates that the total budget for
14 the work was \$23,500 and then the scope of work
15 was described at the top of image 17.

16 If you could call that up,
17 please.

18 And this is referred to -- the
19 project that results from this is the five-year
20 project, often called the Golder project. If I
21 refer to that, you'll know what I mean? We're
22 talking about the five-year review and it became
23 the six-year review later on as time passed. Is
24 that right?

25 A. Yes, it is.

1 Q. Okay. And the proposal
2 includes field investigations and indicates a
3 number of four items, analysis and reporting. Did
4 this differ from what you were contemplating in
5 the paper abstract that we looked at or is it the
6 same stuff that you were contemplating in there?

7 A. Yeah, it's the same stuff
8 that I was considering. Yes.

9 Q. Okay. And, at this
10 point, is the paper, after Mr. Moore's rejection,
11 is that off the table at this point?

12 A. At this point of time,
13 it's off the table.

14 Q. And did you talk to
15 anyone else at the City about this proposal or
16 this project prior to sending it to Mr. Moore, or
17 was this just entirely on your discussions with
18 Mr. Moore?

19 A. I know I have, you know,
20 some discussions with Mr. Marco Oddi. He was, you
21 know, helping me, you know, arranging about
22 pavement condition. It is possible, but I'm not
23 sure whether I have any notes, any details.
24 During the investigation, definitely, but at this
25 point of time, I'm not sure.

1 Q. Okay. Yeah, I'm talking
2 about up to this point. You don't actually
3 recall --

4 A. No, I don't.

5 Q. No? Okay.

6 A. I know that later we
7 added coring, so it was -- but not at this stage.

8 Q. Sorry, was that coring,
9 you said?

10 A. Yes, coring.

11 Q. All right. So, take that
12 down, Registrar.

13 And, in paragraph 32,
14 Mr. Moore on March 8 e-mails you and accepted the
15 three proposals, but deferred two items from the
16 phase 3 PMTR proposal and asked you to submit your
17 proposed work schedule.

18 And then if we could keep 17
19 up and bring up 18 as well, please, Registrar.

20 On March 11, you e-mailed
21 Mr. Moore the proposed schedule -- this is
22 paragraph 33 -- for work on all three projects,
23 which Mr. Moore, at the top of the next page, on
24 34, he replies that the timelines are acceptable.

25 And then in 33 at the bottom,

1 you indicate that:

2 "We will start organizing and
3 carrying out the field work
4 shortly."

5 Maybe if you could call that
6 up there, Registrar, bottom of 17:

7 "The falling weight
8 deflectometer testing will be
9 the determining factor in
10 terms of completing the field
11 work as it can only be carried
12 out once the ground is fully
13 thawed. Assuming that the
14 falling weight deflectometer
15 can be completed in May, the
16 report will be provided by
17 June 14, 2013."

18 And could you just describe
19 what falling weight deflectometer testing is?

20 A. Falling weight
21 deflectometer is a piece of equipment used for
22 non-destructive evaluation of pavement structure
23 condition. In FWD, apply a load pile to the
24 pavement surface and there's a beam with number of
25 sensors, it can be six to nine, and you measure

1 the deflection at each sensor. And by analyzing
2 the deflection or the shape of the deflection,
3 that we call the deflection basin, you can
4 evaluate the structure condition of each layer.

5 So, you would have to know the
6 thickness of the layer to know the deflection and
7 you can evaluate the structure condition that is
8 stressing resilient modules of each particular
9 layer. And also from the centre of the load, you
10 can evaluate the structure condition of the
11 pavement. I don't know if it's enough. I can --

12 Q. No. Is that also what
13 you're looking for there are -- is that part of
14 looking at rutting and whether there's bumps and
15 so forth in the pavement? Is that part of that or
16 no?

17 A. No.

18 Q. It's not?

19 A. No. Rutting would be
20 evaluated visually or bumps, for dips and bumps,
21 we would have to use and we use inertial profiler.

22 Q. And that's one of the
23 other tests that, of course, were in the proposal,
24 the inertial profiler testing. Right?

25 A. Yes. The FWD testing can

1 identify how prone the pavement can be to
2 deformation and rutting and other, but it doesn't
3 determine -- it only determines the structure
4 condition. And the other stress would have to be
5 evaluated more from visual pavement condition
6 evaluation or from the scan by the inertial
7 profiler.

8 Q. Okay. Thank you. We can
9 take that call out down, please.

10 Now, you'll see on
11 paragraph 35 at image 18, if you can call that
12 out, please, that around the same time the City
13 was working on arrangements with CIMA to conduct a
14 review of the Red Hill Valley Parkway and
15 discussion of this in the overview document
16 continues on for a number of paragraphs at that
17 point.

18 Were you aware at that time,
19 now in March 2013, when you were being engaged on
20 the Golder project, the five-year review, that the
21 City was also engaging CIMA to conduct a safety
22 review of the Red Hill from Dartnall to Greenhill?

23 A. No, I was not.

24 Q. And we know that that
25 engagement of CIMA by the City, that particular

1 engagement, culminated in a 2013 CIMA report that
2 we've heard quite a bit about for the last couple
3 of weeks.

4 When did you first learn that
5 CIMA has been engaged to conduct any Red Hill
6 Valley Parkway reviews or investigations?

7 A. On December 18, 2018, I
8 met with Mr. Gord McGuire and, at the end of our
9 meeting, he told me that CIMA was the consultant
10 hired by the City for safety review on the Red
11 Hill Valley Parkway, safety -- I know in my notes
12 I said safety geometry and traffic volume. So,
13 this is the first time that I found about CIMA's
14 involvement on the Red Hill Valley Parkway.

15 Q. Okay. And we will much
16 later come to that but we're going to take it
17 chronologically, but it's not until December 18,
18 2018 that you were aware. Is that right?

19 A. Yes, that's right.

20 Q. Okay. You can take that
21 down, Registrar. Thank you.

22 Now, with respect to the --
23 and you take down the overview document as well.

24 With respect to the Golder
25 project itself, the five-year review, could you

1 describe the structure and responsibilities of the
2 principal staff that were involved at Golder,
3 yourself and others?

4 A. So, I was the project
5 director and Dr. Vimy Henderson, I think she was a
6 doctor at that time, I don't remember exactly the
7 date, so Dr. Vimy Henderson was the PM, project
8 manager, and pavement and materials engineer and
9 project engineer. Also, Rabiah Rizvi was another
10 project engineer on this assignment. And, plus,
11 we had a few other, you know, like other people
12 involved, like technicians, et cetera,
13 (indiscernible), but that was the main staff
14 involved.

15 Q. Okay. And so, as project
16 director, what was your responsibility? Was that
17 overall supervision of the project?

18 A. Yes, overall supervision
19 of the project.

20 Q. And so, you describe
21 there Ms. Rizvi's and Dr. Henderson's, sort of,
22 titles, I guess, but what were they responsible
23 for?

24 A. So, Dr. Henderson, she
25 was the project manager and also the project

1 engineer, and so she was -- now, you know, who --
2 I think she was doing pavement visual condition
3 evaluation and overall arranging of the project.
4 I think it's likely that she arranged falling
5 weight deflectometer and the inertial profiler,
6 but I know that Rabiah Rizvi did the analysis, at
7 least she did falling weight deflectometer
8 analysis. I'm not sure who finalized the inertial
9 profiler analysis. I think it was likely that
10 maybe Joe Lin did the initial analysis and then
11 Rabiah finalized the analysis. I think here I
12 would have to check, but I know she did FWD.

13 Q. And we can ask them. Is
14 it "Jolene" you referred to there?

15 A. Joe Lin, yes.

16 Q. "Jolene"?

17 A. Yeah, she was the -- I
18 think she was the inertial profiler operator. I'm
19 not sure whether she was the operator for the
20 falling weight deflectometer. I would have to
21 check. Probably Rabiah will know better.

22 Q. Okay. And, actually, for
23 the record, I thought you said "Jolene," but it's
24 Joe Lin. Is that right, L-I-N? Is that who
25 you're talking about?

1 A. Joe Lin, yes.

2 Q. Okay. Thank you.

3 A. It could be Joe Lin or
4 also and Steve Jagdat, the FWD test. I would have
5 to check with Dr. Henderson or with Rabiah Rizvi,
6 who was the operator of the falling weight
7 deflectometer.

8 Q. And so, you just
9 described those two kinds of tests. Was any
10 friction testing involved at this point of the
11 project?

12 A. No, it wasn't.

13 Q. And if we could go to
14 overview document 6, images 21 to 22.

15 And just in terms of timing in
16 paragraph 45, it indicates that Golder staff
17 travelled to the Red Hill on April 18 and 23, 2013
18 to inspect visually the pavement condition and the
19 staff observed some microcracking, some
20 longitudinal cracking and some construction joints
21 with third lane or ramp generally starting to open
22 up, and then Golder also made arrangements to
23 conduct profiler and falling weight deflectometer
24 testing in early May 2013.

25 And so, were you involved in

1 the visual inspections or was that other staff?

2 A. I think it was probably
3 mainly Dr. Henderson. I know I was there. At
4 least I walked some section, particularly that
5 section between Barton Road and Queenston. I knew
6 I walked on the shoulder, so I remember, but
7 definitely not the entire 7.5 kilometres, no. But
8 at least I walked on a piece of that road, on the
9 shoulder.

10 Q. There's cars on there
11 right now?

12 A. Oh, yeah.

13 Q. Okay.

14 A. We had a health and
15 safety program, very strict. I would not be
16 allowed to do it.

17 Q. Fair enough. And then at
18 image 27, just for timing, at paragraph 56,
19 indicates that Golder conducted the falling weight
20 deflectometer testing on May 9, 2013. And then on
21 May 17, Rabiah Rizvi of Golder sent the results of
22 the falling weight deflectometer analysis to you
23 and then she indicates her, sort of, summary in
24 her covering e-mail.

25 And I think before you had

1 mentioned that you thought that Ms. Rizvi had
2 analyzed the data or analyzed the results from the
3 falling weight deflectometer testing. Is that --

4 A. I think she did. She was
5 a well trained engineer in analyzing the falling
6 weight deflectometer. I think she did the
7 analysis, yes.

8 Q. Okay. And then she said
9 in the second paragraph in the second sentences:

10 "I really think there is a
11 material problem with the
12 cracking being limited to the
13 surface. Do you think that
14 they should either perhaps
15 consider milling the surface
16 and resurfacing, as it is five
17 years old now? If they don't
18 want to resurface, do you
19 think they should at least
20 apply microsurfacing so the
21 water doesn't penetrate into
22 the structure? Are the cracks
23 too wide for it to be a good
24 candidate for microsurfacing?"
25 Do you recall your reaction at

1 that time to that statement?

2 A. No. I think it made --
3 to me, it made a lot of sense and, you know, I was
4 the right person for her to ask about this. There
5 were -- I think the most important thing was that
6 it was not what we call fatigue cracking or
7 bottom-up cracking. That was initial impression.
8 And obviously there was microcracking and some of
9 those microcracks would be okay for
10 microsurfacing, but the bigger cracks would have
11 to be routed and sealed before microsurfacing
12 because microsurfacing would not address them.

13 And also, there were some more
14 severe cracks that would have to -- she asked
15 about milling and overlaying and I think, based on
16 this, we approached the City asking for permission
17 to take a few cores.

18 Q. To take a few cores?

19 A. A few cores, yes. To
20 drill a few cores.

21 Q. The core samples?

22 A. From the pavement, yes.

23 Q. All right. And then, if
24 we could go to image 30, and paragraph 63
25 indicates that by June 13, 2013, Golder had

1 the purpose, so it was a very, very, you know,
2 bare bone version, just to show what problems we
3 observe. And I noticed that, you know, the cores
4 were included -- I don't know if you want me to
5 elaborate a bit -- because there was a concern how
6 deep the cracks were.

7 Q. I'm not sure if there's
8 photos in here. If you could scroll ahead,
9 Registrar. Asphalt, there we go.

10 3.2, asphalt coring, that's
11 what you're referring to?

12 A. Yes. So, that was our
13 observation because there was a concern, is this a
14 perpetual pavement that has no cracking coming
15 from the bottom up or, you know, actually I was
16 confirming that this is what we call top-down
17 cracking, so that was something important to bring
18 to the City's attention. Our initial -- our
19 observation, our initial considerations for this.
20 So, yeah, it's confirmed. It was what we
21 anticipated, yeah. It was top down.

22 Q. Actually, I'm noticing
23 here, although the document itself has the date on
24 the first page of June 2013, and that's what the
25 overview document, as I mentioned, referred to by

1 June 14, the drafting had begun, this references
2 August 6 when the cores took place.

3 So, presumably this is a draft
4 has been developed over time. Is that fair?

5 A. Yes. Yes, it is.

6 Q. Okay. And the
7 distinction between the top-down cracking and the
8 bottom-up cracking, I think that's something you
9 talked about before in the permanent pavement or
10 perpetual pavement structure, that a big concern
11 would have been if it was bottom-up cracking,
12 which the rich bottom mix and the entire structure
13 was intended to avoid. Is that right?

14 A. Yes, it is. That's the
15 main purpose of perpetual pavement.

16 Q. Okay. You can take that
17 down, Registrar, and if we could go to image 35.

18 This is a reference at --
19 paragraph 75 talks about July 4, 2013 and then
20 paragraph 76, later the same day, July 4, 2013, if
21 you could call that up, Registrar.

22 So, July 4, 2013,
23 Mr. Kirchknopf of the City sent an e-mail to Brian
24 Applebee of CIMA about mainline pavement treatment
25 on the Red Hill Valley Parkway. And you weren't

1 copied on this e-mail but it states:

2 "Regarding the Red Hill Valley
3 Parkway mainline payment
4 treatment, please be advised
5 that the City's asset
6 management section has
7 retained Golder Associates,
8 care of Ludomir Uzarowski, to
9 oversee all testing and
10 monitoring of the specialized
11 surface material. Please
12 contact Ludomir directly
13 should you require any
14 additional information
15 regarding 'weight in motion'
16 or 'friction testing' on the
17 RHVP mainline."

18 And he gives your phone
19 number. Do you recall Mr. Applebee or anyone else
20 at CIMA contacting you about weight in motion or
21 friction testing around that time or at any later
22 time?

23 A. No. No, I don't. I
24 don't recall. Weight in motion, no. There was no
25 weight in motion at all, unless maybe they meant

1 monitoring station. No, I don't.

2 Q. Okay. Well, let me turn
3 it around. Did anyone at CIMA contact you about
4 anything --

5 A. No.

6 Q. -- in that time period?

7 A. Not about Red Hill Valley
8 Parkway, no.

9 Q. Okay. Do you have any
10 insight as to why Mr. Kirchknopf was referring to
11 you here? Had you had any discussions with him
12 about this issue?

13 A. I knew of Mr. Kirchknopf
14 because he was, I think, the traffic division
15 manager, so I knew him from there, and he -- from
16 that monitoring station, maybe not himself but his
17 division, they were getting the traffic monitoring
18 data, so I knew him from -- only from this. And
19 he must have -- I understand that he knew about us
20 being engaged in this. But no, I didn't have any
21 contact with him about this.

22 Q. Okay. He references
23 friction testing on the Red Hill Valley Parkway
24 mainline. At that point in time, by the time,
25 July 4, 2013, was friction testing on the Red Hill

1 something that you had contemplated or discussed
2 with Mr. Moore?

3 A. No. No, it was not.

4 Q. I guess that was a
5 double-barreled question. Had you contemplated it
6 by that point?

7 A. No, I didn't.

8 Q. So, following from that,
9 had you had any discussions about that with anyone
10 by that point in time?

11 A. No. No, I didn't.

12 Q. We can take that down,
13 Registrar, and if we could go to image 52 in
14 overview document 6.

15 And paragraph 130 refers to a
16 second draft of what's defined as the Golder
17 report, which is the ultimate draft report that
18 resulted from the Golder project, the five and
19 then six-year review. And this is dated
20 September 20, 2013, which contained a new text in
21 the Analysis and Recommendations section.

22 And we'll go to it itself, but
23 why don't we do that. It's GOL1430.

24 And you see the date of the
25 September 2013. It indicates, again, submitted to

1 Gary Moore, City of Hamilton.

2 I'll back up. This one is 11
3 pages. The prior draft we looked at was 15 PDF
4 pages, but this one lacks the appendices, the sort
5 of unpopulated appendices that the prior draft
6 had. And image 10 contains the analysis and
7 Recommendations Section.

8 If you can go there,
9 Registrar. Thank you. So, if you can call up
10 section 5, it says:

11 "The results of the testing
12 and investigation carried out
13 on the RHVP indicate that the
14 pavement structure is in good
15 condition and performing well.
16 The observed cracking is
17 anticipated to be a function
18 of the material and not due to
19 fatigue damage or the
20 environment."

21 So, is that your language or
22 is that someone else's? Do you know? Do you
23 recall who wrote that?

24 A. I don't recall. I think
25 I agree that, you know, that was right. Whether

1 it was my language or Vimy's language, it's hard
2 to say, but this is a very initial evaluation of
3 the structure condition of the pavement and there
4 are no recommendations. So, no, you know, I
5 don't -- I don't recall who did this.

6 Q. Okay. In any case, even
7 if it was Dr. Henderson, you agreed with it?

8 A. Yes. Yes.

9 Q. Okay. And was this draft
10 shared with Mr. Moore or anyone else outside of
11 Golder? Do you know?

12 A. I think -- I don't
13 recall. I think the idea of updating this was to
14 show the City what the condition was. So, I
15 anticipate if it was updated, I would have to
16 check my notes, but if it was updated, the purpose
17 would be to share the more recent observation with
18 the City.

19 Q. And when you say the City
20 in this context, I take it you mean Mr. Moore at
21 this point. Right?

22 A. That would be mainly
23 Mr. Moore, yes. I'm not sure about Mr. Oddi. I
24 think it was Mr. Moore, yes.

25 Q. Okay. And, yeah, we

1 don't have a specific e-mail indicating that you
2 shared with him, but as you indicated that it was
3 updated for that purpose, what was it that you
4 wanted to share with him?

5 A. Well, mainly that, you
6 know, the condition -- because, you know, besides
7 these cracks that we mentioned, it was still in
8 good condition and the main thing, that it was not
9 due to fatigue damage. So, it was almost like a
10 confirmation, yes, that's a perpetual pavement,
11 there is no fatigue cracking, the cracking is the
12 top-down type of cracking. So, it is perpetual
13 pavement and I don't know at what time we did some
14 analysis for the remaining life of the pavement,
15 whether it would be able to support what it was
16 designed for for a period of 50 years, but, you
17 know, just to show that, yes, it's definitely not
18 fatigue, so it is a perpetual pavement.

19 Q. And it says in the second
20 sentence:

21 "The observed cracking is
22 anticipated to be a function
23 of the material and not due to
24 fatigue damage or the
25 environment."

1 I appreciate you describing
2 now that it's not due to fatigue damage, but what
3 does a function of the material mean?

4 A. So, it's a function of
5 the material that, you know -- just, you know, how
6 the top-down cracking occurs, like -- I don't know
7 if you want me to elaborate a little bit.

8 Typically, the cracking in
9 asphalt occurs at the bottom where the tensile
10 strength is the highest. So, this is in
11 conventional pavement, it starts at the bottom and
12 it propagates upward. Now, in perpetual pavement,
13 you know, the tensile strength at the bottom of
14 asphalt is low, plus we have this RBM, rich bottom
15 mix, that is has excellent resistance to cracking.

16 So, where the cracking occurs,
17 at the top, at the top you have compression, so it
18 is as, you know -- you know, you shouldn't have
19 cracking where you have compression, but there is
20 a certain stress distribution that causes cracking
21 at the top. This is why we called it's a function
22 of the material and not -- so, it was just to
23 emphasize it's not fatigue. It's just this
24 phenomenon that is unusual stress at the top of
25 the pavement where you should have compression but

1 actually at some locations you may also have some
2 tension and this cracking can occur. So, that was
3 to emphasize function. There was nothing wrong
4 with the material there, so it was just to
5 distinguish between the two phenomena.

6 Q. Okay. That's really what
7 I'm getting at. When it says function of the
8 material, that suggests that it has something to
9 do with the material itself, with the pavement
10 itself, but you're saying that that is not the
11 case, that is not what you were suggesting?

12 A. No. The pavement was
13 very -- the material was very good, so it's not
14 issue with the quality of the material. It was
15 the phenomenon of top-down cracking.

16 Q. Okay. And no mention in
17 this draft of friction testing. Do you know if,
18 at this point in time, you had discussed friction
19 testing with Mr. Moore?

20 A. I know I didn't, at the
21 time, no.

22 Q. Okay.

23 A. It was September the
24 20th. Yes? No, I didn't.

25 Q. Yeah, okay. And we'll

1 get to some subsequent communications shortly.

2 Now, we know that the
3 October 2013 CIMA report has some findings about
4 wet weather collisions and we know that you did
5 not see -- you've said that you didn't see any
6 CIMA reports or weren't aware of them until late
7 2018 or after. You weren't even aware until
8 December 2018, you indicated.

9 But have you reviewed the
10 October 2013 CIMA report subsequently?

11 A. What do you mean
12 subsequently? Not --

13 Q. Afterwards. Not at this
14 time, in 2013. After you became aware of it, much
15 later in time, did you have an opportunity to
16 review it, even in the course of these
17 proceedings?

18 A. Yes. During this
19 inquiry, yes, I look at this.

20 Q. Okay. And we can go to
21 it if you want, but there are findings in there
22 about -- there are friction testing
23 recommendations and an analysis of wet weather
24 collisions.

25 Is that something that you

1 would have found helpful or informative to know
2 about at the time you were putting together the
3 Golder report?

4 A. It would be like, you
5 know -- it depends when, because then after the
6 City ask us to measure friction, that would be --
7 obviously that would be useful to know what CIMA's
8 observations were.

9 Q. Right. And at the moment
10 we had just been speaking about, at September 20,
11 that you hadn't been asked to do friction testing,
12 you described. But once you had been, if I
13 understand you correctly, you're saying that yes,
14 that would have been something that would have
15 been useful to you to know?

16 A. Well, you know, I'm not a
17 safety consultant, so I do what the City asks me
18 to do. You know, so, you mean before Gary Moore
19 asked me to do friction. Yes?

20 Q. Sorry, you're going to
21 be -- very shortly after this in time you're going
22 to be asked to do some friction testing and
23 there's going to be some discussions.

24 Once you're asked to do that,
25 once you're engaged to have friction testing done,

1 would it have been useful for you to know about
2 the 2013 CIMA report and its contents?

3 A. Of course. I think it
4 would be useful for me to know.

5 Q. Okay. And why is that?
6 How would it inform you?

7 A. Because then I would, you
8 know, look at CIMA's recommendations and CIMA's
9 concern and then we would think what -- you know,
10 to go into details like, you know, what
11 recommendations, what testing, you know, when I --
12 you asked me whether I reviewed the report later
13 on and there was a lot of concern about wet
14 accidents. I would include macrotexture testing.

15 Also, like, you know, like one
16 thing, SMA, stone mastic asphalt, is the type of
17 mix that offers good macrotexture, and if you see
18 in our reports, a report later on, there are a lot
19 of photos, it's showing the macrotexture, but it
20 would be, I think, maybe not only from formal
21 point of view but just to measure, like, this is
22 what we did in 2017, yes, show, to show that,
23 because it's a defactor. It's microtexture and
24 macrotexture. Show the macrotexture, yes. It is
25 good.

1 And, you know, also -- so, you
2 know, so the testing, the macrotexture and then
3 analysis and recommendations, so I think it would
4 be definitely, I think, beneficial to know about
5 this.

6 Q. Is that because of the
7 concern about -- I think you mentioned because of
8 the concern about wet weather collisions
9 specifically?

10 A. Wet weather, you know,
11 the main concern with wet weather is macrotexture,
12 yes, because of hydroplaning, so they have to make
13 sure that this thing would be addressed, would be
14 answered. And also, you know, some maybe focus --
15 I know that, you know, CIMA was concerned with,
16 you know, polishing and they would call it
17 flushing and contamination. So, you know, it
18 would at least, I would say, there was no flushing
19 on the road, but it would be, you know, included
20 in the report or in the analysis.

21 As of today, I can say no,
22 there was not observed any flushing or any -- for
23 SMA, we called it fat spots, so there was -- but,
24 you know, just to formalize this thing and show,
25 you know, what our opinion, what our observations

1 were, what our opinion was.

2 Q. Sorry, and you're
3 referring to flushing and fat spots? That's what
4 you --

5 A. Yeah. So, you know,
6 typically for other pavements it's called fat
7 spots or bleeding, and for SMA we call it fat
8 spots. So, like flushing on other pavements is
9 typically called fat spots on SMA, if it's
10 observed, but we didn't observe any --

11 Q. That's not something you
12 observed, okay. So, in overview document 6,
13 there's the long section, just to place this,
14 about the heavy rainfall Hamilton experienced on
15 September 21, 2013 and then communications arising
16 out of that event internal to the City respecting
17 slipperiness and skid resistance on the Red Hill
18 Valley Parkway, including references to reports by
19 police about slipperiness and collisions.

20 And, for reference, that's
21 overview document 6, paragraphs 131 to 154. And
22 then if we could go, Registrar, to images 59 to 60
23 and specifically it's paragraph 150, which is at
24 the bottom of image 59 and the top of 60. If you
25 could call that up, please. Thank you.

1 And so, September 30, 2013,
2 between 12:56 p.m. and 3:27 p.m., Mr. Moore and
3 Dr. Uzarowski exchanged e-mails about skid
4 resistance testing. And this isn't referred to
5 here, but the document itself that this is taken
6 from, the subject is "Skid resistance numbers for
7 the LINC and the Red Hill."

8 And do you recall this
9 exchange between you and Mr. Moore?

10 A. Yeah. That's the best
11 proof that we have. Like, you know, I don't
12 recall details, but, you know, I found this e-mail
13 with this sort of exchange, so I know it occurred,
14 yes.

15 Q. All right. And Mr. Moore
16 says:

17 "During the last couple of
18 heavy rain events, the police
19 have been attributing
20 accidents to the 'slipperiness
21 of the pavement.' Did we do
22 any 'skid resistance' testing
23 in our last outing? Can we do
24 it on both?"

25 And you respond:

1 "We did very limited (a few
2 locations only) skid testing
3 on the Red Hill Valley right
4 after construction, i.e., in
5 2007, and got good numbers,
6 better than MTO typically has.
7 We haven't done any skid
8 testing on the LINC. We will
9 organize the skid testing on
10 both roads and let you know
11 the details, (price and
12 schedule) soon."

13 And Mr. Moore says:

14 "Okay, thanks."

15 So, Mr. Moore initiates this
16 e-mail exchange. Do you recall if you had any
17 discussion with him about friction or skid
18 resistance testing preceding this exchange on
19 September 30, 2013?

20 A. No, nothing before
21 September 30, 2013. No.

22 Q. And I ask -- there's no
23 note or anything that indicates this, but it seems
24 like, sort of, a sparse enquiry to mention this in
25 a couple of sentences and then you respond and say

1 that you'll organize skid testing on both roads.
2 And it makes me wonder if there was some prior
3 discussion. It seems like it's a sparse enquiry
4 about it to then spark your comment that, yeah,
5 we'll do skid testing on both the LINC and the
6 RHVP?

7 A. I think -- so, you asked
8 my comment. Yes?

9 Q. Yeah.

10 A. My opinion? So, I think
11 this, you know, is definitely the first time, the
12 first day, that, you know, I learned about this
13 slipperiness of the pavement on the Red Hill
14 Valley Parkway. It is likely that we talk about
15 it, can we do it on both? So, on both, what is
16 both meaning? It would have to be Red Hill Valley
17 Parkway and the LINC --

18 Q. Sorry. That's why I said
19 before the subject line does say skid resistance
20 numbers for the LINC and the Red Hill.

21 A. Okay. Yeah, yeah. No,
22 so I don't recall any discussion before, so this
23 is the first time, the first day, that I learned
24 about this and no, I didn't.

25 Q. Okay. And what did you

1 understand his question, did we do any skid
2 resistance testing in our last outing, to refer
3 to? What outing did you take that as meaning?

4 A. In our last outing, I
5 think outing, I think he probably means the
6 pavement evaluation that we did, so what we did
7 under this -- what initially was called the
8 five-year review.

9 Q. In this particular
10 project that we've just been discussing?

11 A. Yes. Yes.

12 Q. And then your reference
13 to the skid testing in 2011 right after
14 construction and that you got good numbers, better
15 than the MTO typically has, that's referring to
16 the 2007 MTO results?

17 A. Yes, it is.

18 Q. Okay. And, at that
19 point, what was your basis for that statement?

20 A. Because, you know, I
21 just, you know, stated what I knew about friction.
22 At that point of time, I only knew that the
23 friction testing was done before opening in 2007.
24 And, you know, my opinion was the numbers were
25 good and better than MTO typically has when

1 compared to what they reported, MTO reported, in
2 that 2009 paper on SMA initial -- early life
3 friction. So, that's what I meant.

4 Q. Okay. So, you're saying
5 that you had an understanding from that 2009
6 paper, which I can take you to?

7 A. Yes.

8 Q. So, if we could go to
9 GOL2660, and this is a papered titled "Addressing
10 the Early Age Low Friction Problem of Stone Mastic
11 Asphalt Pavement in Ontario." If you go to the
12 next image, it's the date. Next image, please. I
13 don't see the date, but I understand that this is
14 a 2009 paper in any event. I believe the date is
15 in there somewhere.

16 But if we could go to -- we're
17 on image 3.

18 And this is authored by a
19 number of people at the MTO. And to confirm, is
20 this the paper you're talking about?

21 A. Yes, it is.

22 Q. And in the second
23 paragraph under Issues -- if you could call that
24 up, thank you -- there's a reference to placement
25 of SMA containing Ontario Trap Rock on the

1 westbound lane of Highway 401 and the friction
2 number being as low as 20 after three days of
3 exposure to traffic.

4 Is that what you were and the
5 other contents of this article what you based your
6 comment on that you described to us?

7 A. I don't think this
8 particular paragraph, but there is later on there
9 is a plot and I don't remember what figure it is
10 but where they show how it look like --

11 Q. I think it's at the next
12 page, image 4. Registrar, can you go to image 4.

13 Is this what you're talking
14 about, figure 1, "401 Westbound Surface Friction
15 and Stone Mastic Asphalt Mix Versus Age"? Is that
16 what you're talking about?

17 A. Yes, it is.

18 Q. And so, is the number of
19 days on the X axis and the friction number on the
20 Y axis, with it beginning at 20 after three days
21 and increasing thereafter?

22 A. Yes, this is what I
23 meant.

24 Q. All right. So, in your
25 reference to Mr. Moore when you say --

1 JUSTICE WILTON-SIEGEL: Sorry,
2 Mr. Lewis. I'm wondering whether it would be
3 possible to take our break at this point?

4 MR. LEWIS: Absolutely.

5 JUSTICE WILTON-SIEGEL:
6 There's a matter that I have got to attend to.

7 MR. LEWIS: Absolutely. When
8 should we resume?

9 JUSTICE WILTON-SIEGEL: Let's
10 resume at 20 to 12:00. Thank you.

11 --- Recess taken at 11:26 a.m.

12 --- Upon resuming at 11:40 a.m.

13 MR. LEWIS: We are back. May
14 I proceed, Commissioner?

15 JUSTICE WILTON-SIEGEL: Please
16 proceed.

17 BY MR. LEWIS:

18 Q. Registrar, if you could
19 pull back up GOL2660 that we were looking at
20 before the break and image 4 thank you.

21 So, it's the figure 1 that we
22 were talking about and just to cover it off, this
23 is the figure that you were referring to before
24 the break?

25 A. Yes, correct.

1 Q. All right. And so, when
2 in your e-mail exchange with Mr. Moore that led us
3 to talk about this document you wrote that you did
4 the skid testing on the Red Hill Valley right
5 after construction, i.e. in 2007, and got good
6 numbers, better than the MTO typically has, am I
7 correct what you were referring to was better than
8 the MTO typically has in the context of a newly
9 opened or, in that case, unopened, but with new
10 SMA asphalt. Is that correct?

11 A. Yes, it is. In terms of
12 high early friction -- you know, early life
13 friction of SMA, yes.

14 Q. Right. But I notice you
15 don't mention that there to Mr. Moore in your
16 e-mail to him on the 30th. Is that correct?

17 A. That's correct.

18 Q. Okay. All right. We can
19 take that down, Registrar. And then if we could
20 go to -- it's at paragraph 154 but I think we
21 should go to the document itself, GOL2641.

22 This is a long e-mail chain
23 that's mostly internal to the City, but at the
24 top, if we could expand that, yeah, Mr. Moore, the
25 next day, October 1, 2013, e-mails you and he

1 forwards this e-mail chain and he indicates that:

2 "Our traffic section is
3 installing new crosswalk
4 markings and they are
5 concerned the expansive amount
6 of paint has an effect on the
7 skid resistance through the
8 intersection."

9 And he asks:

10 "Can this be included in your
11 scope of work or is it
12 different in town? A more
13 comparative study of with and
14 without new paint, but it
15 would need to be on the same
16 pavement. Call me if you have
17 any questions. Thanks."

18 And he forwards this long
19 e-mail chain, which included a number of e-mails
20 with John McLennan, Bryan Shynal, Martin White,
21 John Mater and Geoff Lupton. And did you review
22 that e-mail? If you take this top one down. Do
23 you recall if you reviewed the e-mail chain?

24 A. Yeah, I remember this,
25 this e-mail, and yes, I read it.

1 Q. Okay. And, you know, we
2 looked at your e-mail exchange with Mr. Moore on
3 the 30th of September, which I had indicated
4 didn't provide a lot of detail as to the reason.
5 Did this e-mail exchange that he forwarded to you
6 give you any insight into the reasons for the
7 friction testing on the Red Hill and the LINC?

8 A. Yes, he did.

9 Q. And what was that?

10 A. I read this thing and
11 then I noticed that, you know, there were, I
12 think, police reported that they considered this
13 to be slippery. Some people from the City also
14 have concerns that it was slippery. Also, there
15 was, I think, the one -- one of them that appeared
16 was that there are no significant claims and
17 something similar to what is observed on other
18 mountain cuts.

19 So, that was, like, you know,
20 general opinion of some people from the City of
21 what happened there also, and my opinion was
22 pretty unusual because that was the first time,
23 probably the last time, that I got this type of
24 e-mail from...

25 Q. Sorry, it was unusual

1 because -- it sticks in your mind because it was
2 the first time you got, what, this long e-mail
3 chain forwarded to you? Is that what you mean?

4 A. Yeah. I never got this
5 type of chain of e-mails from Mr. Moore or from
6 other City employees.

7 Q. Okay. And so, if we
8 could go to the last image, image 4, you
9 referenced the police and the originating e-mail
10 here at the bottom, September 22, if you could
11 call that out, Registrar.

12 This is September 22, 2013.
13 It's from a Sam Capostagno to a number of people
14 at the City about the Red Hill and talking about
15 Saturday, due to heavy rain, they had some issues
16 and talking about the police calling saying the
17 ramps and the road is very slippery. It refers to
18 accidents and so forth.

19 Is this the e-mail you were
20 talking about? I just want to make sure we're --

21 A. It is one of them
22 because, you know, Gary also mentioned that police
23 was complaining. And then, you know, I also
24 remember that they mentioned speed because, you
25 know, I talk with the City about speed. I think

1 started in 2008, my concern about speed on the Red
2 Hill Valley Parkway. So, that's in the chain, so
3 Gary, Mr. Moore, send me that on September 30 that
4 police had concerns and this is the confirmation
5 of the concern that the police had.

6 Q. Right. And Mr. Moore, on
7 the previous day, he indicated that during the
8 last couple of heavy rain events, the police have
9 been attributing accidents to the slipperiness of
10 the pavement. That's what you're referring to?

11 A. Yes.

12 Q. Okay. And then, if we
13 could go to image 2, you referred to the reference
14 about mountain cuts. And, if you call up the
15 bottom e-mail here on September 26, the whole
16 thing, please, including the -- thank you. From
17 John McLennan, again, internal to the City on
18 September 26.

19 And I see in the first
20 sentence he says:

21 "Off the top of my head, I
22 would say there is not a
23 significant claims history for
24 slippery conditions on the
25 RHVP, certainly no more than

1 any other mountain cut, if I
2 can call it that."

3 Is this the e-mail that you're
4 talking about specifically?

5 A. Yeah. So, this is, like,
6 you know, a part of that chain of e-mails that I
7 was reading, yes. So, this is the one. So...

8 Q. Okay. So, what did you
9 understand was the purpose of the testing that had
10 been requested of you at this point?

11 A. You know, the purpose of
12 the testing was to test friction, it's to provide
13 friction numbers, using a method to determine the
14 friction numbers. And, you know, as I think I
15 said before, you know, I'm not a safety
16 consultant, I'm not a friction expert, because I
17 know that slippery is related to large number of
18 factors and friction numbers are just this one
19 item, but this is what they wanted me to test.

20 And obviously another concern
21 was, yes, you know, you test, you have this
22 number, but still police consider this thing to be
23 slippery. So, it have some -- you know, it stay,
24 I think, in my memory and in my mind what police
25 were saying about this.

1 Q. And did you have any
2 discussion with Mr. Moore or anyone else at the
3 City around this time about wet weather collisions
4 and whether that was a concern or the number of
5 wet weather collisions being a concern?

6 A. No. Because he
7 mentioned, Mr. Moore mentioned, that, you know,
8 after a period of heavy rains, but I don't recall
9 any, you know, particular conversation about wet
10 weather accidents.

11 Q. And you can take that
12 down, Registrar. Thank you.

13 Now, do you recall, following
14 from this, how it came about that Golder sought to
15 get an outside provider to perform the friction
16 testing?

17 A. Sorry, what do you mean?

18 Q. Were you involved in the
19 efforts to retain another -- an outside provider
20 to perform the friction testing?

21 A. Yes. Golder didn't do
22 it, so we were looking for an outside, you know,
23 provider who could do it for us.

24 Q. All right. And were you
25 involved in who to contact to obtain the testing?

1 A. I think Dr. Henderson
2 contacted MTO, but my first thought was, you know,
3 to ask MTO if they could do the friction testing
4 on the Red Hill Valley Parkway.

5 Q. And was that your
6 suggestion to Dr. Henderson?

7 A. You know, I don't
8 particularly recall, but, you know, that would be
9 my obvious -- my first thought, my first thought.
10 Okay, they did this thing in the past; can we ask
11 them to do the same testing now? No, not the same
12 testing because, you know, because it was a
13 different -- that one was before opening, but can
14 they do friction testing on the entire Red Hill
15 Valley Parkway now?

16 Q. Okay. And were you aware
17 at the time that the MTO used the locked-wheel
18 skid trailer?

19 A. Yes, I was.

20 Q. All right. And that
21 that's what they had used in 2007 and that's what
22 they would use this time, if they agreed to do it?

23 A. Yeah. I knew that they
24 had this all trailer assembled by them by Dynatest
25 years ago for friction testing. Yeah, I knew

1 that. I knew that, what they used.

2 Q. Okay. And do you recall
3 if you told Dr. Henderson why to contact the MTO
4 specifically, that they had done the prior
5 testing?

6 A. No, I don't, because I
7 don't even have this type of notes in my note.
8 But I think it would be, you know, logical for me
9 to ask Vimy to contact MTO to do it and use
10 this -- so I think it would be logical for me to
11 ask her to do it.

12 Q. No, no. I understand it
13 would be logical and if I'm inferring correctly it
14 would be logical because it would make sense to
15 have the same type of device, the same device,
16 conducting the testing as had conducted it in
17 2007. Fair?

18 A. Yes, the same device and
19 the same company -- not the same company, because
20 MTO is not a company, but the same provider, yes.

21 Q. I appreciate the logic
22 behind that, but I want to know whether or not you
23 told Dr. Henderson that the MTO had conducted the
24 testing in 2007?

25 A. I think so. I don't

1 remember details, but, you know, it is very likely
2 that I told her.

3 Q. Okay. And were you then
4 aware at that time that Dr. Henderson contacted
5 Stephen Lee of the MTO to enquire about the MTO
6 conducting the testing?

7 A. I think I was, yes.

8 Q. Okay. And do you recall
9 why you didn't have her contact Becca Lane or
10 Chris Raymond, who had been involved back in 2007,
11 in directing the testing?

12 A. Do I know why? No. I
13 probably left it with Dr. Henderson.

14 Q. And if we could go to
15 images 61 and 62, sorry, in overview document 6.
16 And so, it's paragraph 156, just to place it in
17 time, at the bottom of 61, that it was October 4,
18 2013 that Dr. Henderson wrote to Stephen Lee at
19 the MTO and then the next day Mr. Lee responded
20 and asked for some details about the scope and
21 timing.

22 And then if we could go to
23 images 70 and 71, please.

24 In paragraph 179 at the
25 bottom, on October 29, 2013, Dr. Henderson and

1 Mr. Lee exchanged further messages about the
2 testing and Mr. Lee explained that the MTO would
3 not be able to accommodate the request.

4 And then if you could expand
5 their e-mail exchange.

6 He, Mr. Lee, indicated they're
7 behind in their friction network level work and
8 performance-based specification testing and
9 recommend you get a quotation from ARA that has
10 the same equipment or others that have different
11 friction equipment:

12 "Sorry we will not be able to
13 accommodate for the season."

14 Did you take any part in these
15 communications with Mr. Lee?

16 A. No, not with Mr. Lee, but
17 I think Dr. Henderson would keep me informed. She
18 would CC me and keep me informed about this.

19 Q. So, I don't think you
20 were copied on, I'm just looking at the documents,
21 you weren't copied on those documents, but you're
22 saying that she would have kept you informed?

23 A. Yeah. As far as I know,
24 Dr. Henderson, she would keep me informed.

25 Q. Okay. And did anyone

1 contact ARA, as suggested by Mr. Lee?

2 A. No, I don't think so.

3 No, I don't think so.

4 Q. Do you know why not?

5 A. I knew from Dynatest that
6 there was only one piece of equipment in Ontario
7 they assembled, so it would be likely that ARA
8 would have to bring it from the States, so that
9 would be my explanation.

10 Q. Sorry, you surmise that
11 that's what ARA would have to do?

12 A. Yes.

13 Q. Okay. And how did you
14 know that from Dynatest? You had had direct
15 communications with Dynatest at some point?

16 A. Oh, I think I knew
17 Dynatest for years when I worked for John Emery
18 Geotechnical, so we had a very good relationship
19 with Dynatest, we knew people, we talked to them.
20 Now, who told me, I knew they told me that they
21 assembled one whole trailer for the Ministry, and
22 that was one available in Ontario.

23 Q. Okay. But, I mean, you
24 worked at JEGEL a long time before that. Did you
25 have any current knowledge about ARA's --

1 A. No.

2 Q. No? Okay. And we know
3 that ultimately Tradewind was contacted by Golder
4 and engaged to perform the testing. And how did
5 that come about? Whose initiative was it to
6 contact Tradewind?

7 A. It was mine.

8 Q. And how were you familiar
9 with Tradewind?

10 A. As you know, I do a lot
11 of airport pavement work and I attend every year
12 Swift conference on airports and I met Mr. Leonard
13 Taylor almost every year there. They had a booth
14 and they showed their equipment. He was
15 considered to be the top expert not only in
16 Canada, also one of the top experts in the U.S. in
17 pavement friction, particular airports, so he had
18 very good reputation. He delivered, I think --
19 you know, I don't remember if it's one or a few
20 presentations on this. And, you know, just
21 whenever I went there, I talked to him, so I know
22 him, I knew what they did and they knew their
23 reputation.

24 Q. Okay. And were you aware
25 from that that they used the grip tester and other

1 continuous friction measuring equipment for their
2 airport work?

3 A. I think I did because at
4 the booth they showed -- I don't know what exact
5 pieces of -- but I think they showed the grip
6 tester. Some of this was just, you know, shown
7 during, in the booth, what they used. I think so
8 or at least there were, you know, a lot of photos
9 of the equipment they were using, so I knew that.

10 Q. Okay. And did you have
11 any awareness about whether they used the ASTM
12 locked-wheel tester or not?

13 A. ASTM, sorry, walk or
14 lock?

15 Q. The locked-wheel trailer,
16 like, of the same type that the MTO used?

17 A. You know, like, at that
18 point in time, it's hard to say what I thought,
19 but I think in my opinion that was the only piece
20 in Canada, so logical would be that they didn't.

21 Q. Okay. And did you think
22 about or take into account in contacting or
23 deciding to contract Tradewind that they would not
24 be using the same testing device as the MTO had
25 used in 2007?

1 A. No, I didn't have any
2 particular serious concerns about using different
3 pieces of equipment. This equipment was
4 recognized and well-established and described in
5 the TAC guide as the equipment used for friction
6 testing.

7 Q. Okay. And you were
8 aware, as you described, of Tradewind's experience
9 in particular with airport testing. Did you give
10 consideration as to their experience with roads?
11 Were you aware of their experience with roadway
12 testing?

13 A. You know, it's difficult
14 for me to remember what I discussed, but I had --
15 I think I was comfortable with them doing this
16 testing, so yeah, that would be my opinion, yes.
17 That's my opinion.

18 Q. Well, I understand that
19 you were comfortable with it, but do I understand
20 you correctly you don't recall whether you gave
21 any thought in particular as to their experience
22 with roads as distinct from airports?

23 A. I don't remember what
24 they were showing at the booth, you know, whether
25 that was only airports or also roads or highways,

1 because they typically include a lot of photos.

2 So, no, I don't remember this detail.

3 Q. And I understand that it
4 was Dr. Henderson who contacted Tradewind
5 initially. Did you have any involvement with the
6 discussions about retaining Tradewind once you
7 came up with the idea?

8 A. I think I probably, you
9 know, I told her who to contact, like, you know,
10 the company and the person.

11 Q. All right. If we go to
12 image 71, I think we've already got it up, yes,
13 and paragraph 180, Dr. Henderson contacted
14 Tradewind through its website and she asked to
15 speak to someone about Hamilton's request for
16 friction testing to be conducted this year on its
17 urban highways, and then their office manager
18 forwarded Dr. Henderson's request to Leonard
19 Taylor, the president and CEO of Tradewind?

20 And so, from that point
21 forward -- well, first of all, since Dr. Henderson
22 just went through their website and didn't contact
23 Mr. Taylor directly, do you think perhaps you
24 didn't direct her to anyone in particular?

25 A. I think she contacted

1 Tradewind based on my recommendations and I don't
2 think I had Leonard Taylor's contact information.
3 I knew him but it is likely I probably had
4 somewhere his business card, but, you know, I
5 probably -- the easiest way for her was to, you
6 know, go on the website and find a contact.

7 Q. All right. And then, if
8 we could go to image 75, paragraph 191, at the
9 top, on November 19, you e-mailed Mr. Moore to
10 advise him that the price of the friction testing
11 and to, quotes, "prepare a short memo report,"
12 would be \$8,000 plus HST. Mr. Moore approved the
13 expense, directed City staff to issue the purchase
14 order and assist with the logistical arrangements
15 for the testing.

16 Do you recall if you advised
17 Mr. Moore in advance that the testing would be
18 conducted using a grip tester?

19 A. I don't have any
20 particular recollection at this point of time, no.

21 Q. Okay. And if we could go
22 back to images 73 and 74 and paragraph 187, which
23 straddles the two images, is an e-mail two days
24 earlier, November 17, 2013, Mr. Taylor to
25 Dr. Henderson copying Tradewind's technician,

1 Michael Hogarth, and he indicates that he can
2 perform the testing and so forth.

3 And he sets out some of the
4 parameters, aside from the dollars and so forth,
5 at the top of 74. Thank you. And he indicates
6 that the grip tester would be used at 50
7 kilometres an hour and reference or a comparison
8 be made with established UK highway reference
9 levels, and refers to it being 50 kilometres an
10 hour.

11 Is that something
12 Dr. Henderson made you aware of? You weren't
13 copied on this particular e-mail.

14 A. If I wasn't copied, I
15 think it likely, but I don't recall.

16 Q. And, at any point in this
17 timeframe, at the time of retaining and engaging
18 Tradewind, is the issue of correlation of results
19 that would be obtained by Tradewind from using the
20 grip tester with the MTO results from 2007, is
21 that something that crossed your mind or was any
22 issue for you?

23 A. No, it wasn't.

24 Q. Page 77, please,
25 image 77. In paragraph 196, we know that the

1 friction testing by Tradewind took place on
2 November 20, 2013.

3 Am I correct that you were not
4 present for the testing? Is that right?

5 A. No, I wasn't.

6 Q. And do you recall what
7 information was provided to Tradewind in advance
8 with respect to the testing?

9 A. Definitely, you know, the
10 location from length of the section, location from
11 two. I think we wanted also a few ramps to be
12 tested, so, you know, this kind of information.
13 And just I think, I believe, Vimy would arrange
14 exact time and whatever, where to meet, when to
15 meet and this sort of details.

16 Q. The logistics?

17 A. Logistics, yes.

18 Q. All right. And then if
19 we go to image 82, actually, this refers to some
20 entries in your notebooks at paragraph 211 about
21 one on December 10, 2013 and another on
22 December 13, 2013.

23 And if we could maybe go to
24 RHV933 so we can see the actual notes or
25 typewritten notes, rather, image 631 and 632,

1 please.

2 So, the December 10 note on
3 the left simply says "Hamilton - 7:30 a.m. -
4 meeting with Gary," and then December 13, 2013
5 "call, Gary Moore."

6 Do you recall the meeting and
7 call and what they were about?

8 A. I know it happened and
9 very early. I think it would probably be rather
10 PMTR 3.

11 Q. Possibly about the PMTR,
12 the third phase?

13 A. Yes.

14 Q. Is that because that was
15 still pending at the time. Is that right?

16 A. I think it was pending
17 and then it took a long time to verify and they
18 added more and more to this, including
19 specifications and quality controls, building
20 quality control systems, so that became a huge
21 subject. So, I would say that was likely this.

22 Q. Okay. All right. If we
23 could go back to image 82. The second sentence in
24 paragraph 211 indicates you have a note to call --
25 and, actually, 212 as well. Call them both up,

1 please.

2 On December 20, you had a note
3 to call Mr. Moore, Lisa Castronovo, the admin
4 assistant in asset management, engineering
5 services in Hamilton, and Trevor Moore, who is a
6 corporate technical director of Miller Paving.

7 And then on December 20,
8 Mr. Moore from Miller Paving e-mailed you
9 attaching, he indicates "as discussed," and then
10 attaching some brochures and guidelines about
11 microsurfacing and slurry seal, which then you
12 forwarded to Dr. Henderson at Golder on
13 December 20.

14 And so, do you recall what
15 this is about, why he was sending you the
16 materials on microsurfacing and slurry seal
17 materials that you sent to Dr. Henderson?

18 A. I was considering using
19 microsurfacing in the City of Hamilton. So, you
20 know, the history go back to PMTR 2 where that was
21 one of the preventive treatment, optional pavement
22 rehabilitation treatment that we would consider,
23 and if so that would be a double purpose for
24 microsurfacing. One would be for Red Hill Valley
25 Parkway because this is what we considered, like,

1 you know, you showed that e-mail from Rabiah, this
2 microsurfacing, so that was one microsurfacing.

3 But at the same time, and we
4 was under PMTR 3, I was looking at finding an
5 effective way of -- how can I say? -- pavement
6 treatment for pavements in the City in Hamilton
7 that involved incorporated old poor quality steel
8 slag that resulted in cracking. So, it was like
9 regular microsurfacing would be for Red Hill
10 Valley, but I was thinking about microsurfacing
11 and even slurry seal. But slurry seal, I probably
12 gave up on this. Microsurfacing was fibre for
13 those cracked steel slag, old steel slag
14 pavements. And I talked to Trevor and he send me
15 the brochures, the price, for this treatment.

16 Q. So, if I could unpack
17 that, both for -- let me put it this way -- City
18 streets in relation to PMTR work that you had been
19 doing and also on the Golder project for the Red
20 Hill Valley Parkway, and you referred back to the
21 e-mail from Ms. Rizvi about microsurfacing, so for
22 both purposes. Is that right?

23 A. Like, you know, for both,
24 but I would say for the Red Hill Valley Parkway it
25 would be conventional, but for the City it was

1 particularly steel slag. I wanted to use the one
2 with fibre because it provides additional
3 reinforcement.

4 Q. Sorry, provides
5 additional?

6 A. Reinforcement. This
7 fibre is not the same as SMA. It's not a
8 cellulose fibre. This is like, you know, a kind
9 of reinforcement, so it would provide better for
10 performance for the steel slag cracked pavement.

11 Q. Okay. Now, if we could
12 go to images 83 and 84, Registrar.

13 In January of 2014,
14 Dr. Henderson exchanged a number of e-mails with
15 Leonard Taylor at Tradewind and with you relating
16 to seeking the results from the Tradewind testing.

17 And in paragraphs 216 and 217,
18 if we could call those both up, please, Registrar,
19 so they're -- maybe just start with 16. That's
20 fine. It's large. We'll stay with 16.

21 On January 7, Dr. Henderson
22 e-mailed Mr. Taylor and asked him for his
23 anticipated timeline for providing the test
24 results, and Mr. Taylor responded the same day and
25 he said he expected to have your data analyzed and

1 report ready within about one week. And
2 Dr. Henderson responded that she understood but
3 that, quotes, "the client was starting to bug me,"
4 closed quotes.

5 And then you can take that
6 down and call up 217, please. And then
7 Dr. Henderson, the same day, e-mails you to tell
8 you that Tradewind will provide the friction data
9 by the end of next week so they can finish the
10 report, and you responded:

11 "Vimy, please get it from them
12 ASAP and give them hell on my
13 behalf. I have to call Gary
14 and I'm afraid he will ask me
15 about it."

16 So, first of all, she referred
17 to Mr. Taylor about the client starting to bug me.
18 Who is she referring to there?

19 A. So, you know, I think
20 that would have to be Mr. Gary Moore.

21 Q. Okay. And was she having
22 direct communications with Mr. Moore or was that
23 just you that would have passed that on to her?

24 A. You know, I think it
25 would be mainly me. Maybe she said it's because I

1 was under pressure, so she wanted to convey, you
2 know, to put some pressure on Tradewind.

3 Q. So, perhaps you had
4 conveyed to her that there was urgency -- not
5 urgency. That the client was wanting it, was
6 pushing it, and she conveyed that on your behalf?

7 A. It is likely, but, you
8 know, it appears also -- I cannot say that, you
9 know, she didn't contact Mr. Moore. I don't know.
10 I don't have any notes on this. But, you know, I
11 think it would be likely from me, but it's -- I
12 cannot, you know, say that she didn't contact
13 Gary. I didn't know about it --

14 Q. You're not aware of her
15 having any direct communications with Mr. Moore,
16 though. Is that right?

17 A. No. No, I'm not.

18 Q. Okay. And when you
19 indicate in your e-mail to her, I have to call
20 Gary, I'm afraid he will ask me for it, what was
21 your concern? Was he pushing you for the results
22 at that time?

23 A. Yes. He wanted the
24 results and then the testing was done, you know,
25 some time ago. He wanted the results. So, you

1 know, obviously then he would put the pressure on
2 me.

3 Q. All right. And then we
4 know that Mr. Taylor was further delayed in
5 delivering the results.

6 And so, at -- go to image 87.
7 If we could call up paragraphs 230 and 231. In
8 between, there's some communications about the
9 delay and then you write to Mr. Taylor twice. And
10 so, the first one here, without going to the
11 document, I can tell you, is actually at 9:15 a.m.
12 and then the second one there in 231 is at
13 10:50 a.m.

14 So, the first one you write:
15 "Good morning, Leonard. I
16 received a message from my
17 client this morning. He needs
18 the friction testing results
19 this morning. He has a
20 meeting with the management to
21 discuss the pavement issue. I
22 would appreciate it if I could
23 receive the report this
24 morning. It cannot be delayed
25 any more."

1 And then in your second one,
2 you write:
3 "My client needs a comparison
4 of friction numbers on the Red
5 Hill Valley Parkway in
6 Hamilton from 2007 and 2013.
7 I have summarized 2007 and
8 need the numbers for 2013. He
9 needs my summary before noon.
10 Could you send the 2013
11 numbers to me?"

12 So, who is the client referred
13 to in these e-mails? Is that Mr. Moore?

14 A. The City of Hamilton,
15 yes. Mr. Moore, yes.

16 Q. Right. I appreciate that
17 the City of Hamilton is --

18 A. Yes, Mr. Moore. Yes.

19 Q. -- your client, but an
20 individual is calling you and that was Mr. Moore?

21 A. That was Mr. Moore.

22 Q. All right. And do you
23 recall did you have a phone call with him or was
24 it a voicemail message? Do you have any
25 recollection?

1 A. "I received a message
2 from my client this morning," so if there is no
3 e-mail, it was likely a phone call.

4 Q. Okay. And did you
5 receive -- since you sent it in two e-mails, do
6 you know if you received a second message or had
7 had a second call with Mr. Moore?

8 A. It is likely because
9 first I said only from the client this morning and
10 in the second I say that I need it before noon, so
11 it's likely that I got the second message that he
12 needed the results before noon. So, I don't
13 recall details, but it's likely that I got the
14 second call.

15 Q. Okay. And did Mr. Moore
16 tell you that it was a meeting with management?
17 That is information that you received from
18 Mr. Moore?

19 A. You know, this is what I
20 said that, you know, I'm meeting with the
21 management, so now, you know, do I recall what he
22 exactly said? At least my understanding was that
23 it was a meeting with the management, because I
24 knew that just, you know, by the, you know, last
25 minute, I saw that he was meeting with the

1 management and he needed the results, so at least
2 it was my understanding that that would be a
3 meeting with the management. If he told me, I
4 don't recall. My understanding was it was with
5 the management.

6 Q. Okay. So, I want to back
7 that up. Presumably you wouldn't have said it was
8 a meeting with management unless you were told
9 that it was a meeting with management. Is that
10 fair?

11 A. Yeah, you know, it sounds
12 fair. Yeah, you know, it sounds -- I don't recall
13 the details. But, you know, at that point of
14 time, you know, I knew that until the very last
15 moment, until I sent him the results, my
16 understanding is it was with the management.
17 Maybe I think it's likely that, you know, he
18 didn't have to explain me the details. Maybe it
19 was with the management. So, my understanding
20 until the very last moment, it was the management.

21 Q. Okay. And, sorry, you
22 say until the very last moment. Did that
23 understanding change?

24 A. No, no, no. You know,
25 like, you mean as of today?

1 Q. No, I'm not talking about
2 that. You said until the very last moment, so I
3 want to know what that moment is that you're
4 referring to.

5 A. Until the very last
6 moment that I sent him the results, I thought it
7 was for the meeting with the management.

8 Q. Okay. And did you ever
9 learn otherwise until this inquiry?

10 A. No. Only from this
11 inquiry.

12 Q. Okay. What about the
13 second part in your second e-mail about:

14 "My client needs a comparison
15 of friction numbers on the Red
16 Hill Valley Parkway in
17 Hamilton from 2007 and 2013."

18 Was that also information that
19 originated from Mr. Moore? That was a request
20 from Mr. Moore?

21 A. This is in the e-mail, so
22 I think yes, that was requested by Mr. Moore.

23 Q. Okay. You can take that
24 down, please, Registrar, and if we could also pull
25 up 88.

1 In the next paragraph, 232,
2 the same day and it's actually in between those
3 two e-mails that you sent to Mr. Taylor, at
4 10:28 a.m., you sent Dr. Henderson an e-mail which
5 contained the friction test results from the MTO
6 in 2007 and forwarding the e-mail from Mr. Raymond
7 back then.

8 Maybe we should go to the
9 document itself, which is GOL1096.

10 So, you see at the bottom --
11 can we expand the -- thank you.

12 So, this is the October 18,
13 2007 e-mail from Mr. Raymond to you and
14 Mr. Delos Reyes, attaching the October 16 MTO
15 friction test results on the Red Hill. Right?

16 A. Yes.

17 Q. And that's what you're
18 forwarding to Dr. Henderson? If you take that
19 down, please. And you just indicated at the top,
20 "FN numbers for RHVP from Chris," is what you send
21 to Dr. Henderson. Do you recall why you were
22 sending that to her at that point in time?

23 A. No. I think we must have
24 talked about this. This is why I send it to her.
25 But I don't recall details why.

1 Q. You don't recall why it
2 came to your mind at the time? I mean, we've seen
3 the indication in your second e-mail to Mr. Taylor
4 that your client wanted a comparison of the 2007
5 and 2013 results. Did it have anything to do with
6 that?

7 A. I think definitely, but
8 now I don't know who prepared it, whether I
9 prepared this and send or Vimy prepared and send
10 it to me or I send it to Mr. Moore. That may be
11 for the preparation of that e-mail, 2007 and 2013,
12 but I don't recall that, you know, who -- I think
13 it came from me. I sent it to him, but it's
14 sometimes possible that she could prepare, send it
15 to me, I would add and pass it to --

16 Q. We don't have any
17 indication of that. Okay. So, you don't have a
18 specific recollection of what prompted you to send
19 it to her at this point. Is that right?

20 A. No, I don't.

21 Q. Okay. And then if we
22 could take that down and go to images 88 and 89 in
23 OD 6.

24 So, before noon, at
25 11:44 a.m., in paragraph 233, that same day,

1 January 24, you e-mailed Mr. Moore under the
2 subject line "Friction Numbers on RHVP" and it had
3 had three attachments. We'll look at the e-mail
4 in a second. Three attachments: There was the
5 MTO spreadsheets with the test results from 2007
6 and the paper titled "Addressing the Early Age Low
7 Friction Problem of Stone Mastic Asphalt Pavement
8 in Ontario."

9 Now, if we could pull up the
10 e-mail itself. Thank you. There we go.

11 So, before we look at the
12 specifics of this, am I correct that at this
13 point, on this day, you don't have anything in
14 writing from Tradewind providing you with the
15 results of its testing? Is that right?

16 A. No, I don't -- no, I
17 didn't get anything. I think the information was
18 provided to me over the phone not by Leonard
19 Taylor but Mr. Rowan Taylor.

20 Q. Rowan Taylor, that's
21 Leonard Taylor's son?

22 A. I don't know. Like, you
23 know, the last name is the same, but I've never
24 met that gentleman. I know Leonard, but I don't
25 know the other gentleman.

1 Q. Okay. And we know
2 there's a later e-mail that does suggest -- where
3 Leonard Taylor refers to an earlier conversation
4 with Rowan Taylor. Do you actually recall the
5 conversation with Rowan Taylor on the 24th?

6 A. I don't recall the
7 telephone conversation. I recall my frustration,
8 because I had very short time, I had to deliver
9 this thing before noon, I still didn't have the
10 information, so I remember that part. I don't
11 remember the details of the conversation, but I
12 think those four numbers were given to me.

13 Q. Okay. So, when you say
14 the four numbers -- sorry, Registrar, can you lift
15 the top one up a little bit because it's obscuring
16 the last line. There we go. Thank you.

17 Okay. So, the four numbers,
18 you're talking about the numbers that begin in the
19 middle there about the grip tester begin with SB
20 right lane 35 and the three lines after that. Is
21 that correct?

22 A. Yes. I don't think he
23 gave me the LINC numbers because I was only
24 interested in Red Hill Valley Parkway, because
25 this is what I had to deliver.

1 Q. Okay.

2 A. So, I think only these
3 four numbers.

4 Q. Right. And so, at the
5 top of the e-mail, you're describing of course
6 that the surface asphalt is SMA and refer to the
7 MTO performing friction testing in both southbound
8 lanes and you give the average number and the
9 range for both of those two lanes. Right?

10 A. Yes.

11 Q. And do you recall, did
12 Mr. Moore ask you to set out a description of what
13 it was? Do you recall?

14 A. I don't, you know, recall
15 details, but I think he ask me for a comparison, a
16 comparison 2007, 2013, and I think he must have
17 asked about the CTAA paper.

18 Q. Right. And that's the
19 bottom part and that's the paper we looked at
20 earlier. Right?

21 A. Yes, it is.

22 Q. Okay. And so, you think
23 that Mr. Moore requested that, the paper?

24 A. I think so, because
25 otherwise I would have no justification to send

1 the paper. So, I don't recall details, but my
2 opinion, he requested this.

3 Q. And then in the middle,
4 beginning with:

5 "In 2013, the friction numbers
6 were measured on the RHVP in
7 both directions by Tradewind
8 Scientific using a grip
9 tester. The average FN
10 numbers were as follows: SB,
11 right lane, 35; SB, left lane,
12 34; NB, right lane, 36; NB
13 left lane, 39."

14 Am I correct that SB refers to
15 southbound and NB refers to northbound?

16 A. Yes, you are right.

17 Q. And do you recall how
18 Rowan Taylor conveyed this information to you?
19 You already said that you think you only discussed
20 the Red Hill numbers, because that's all you were
21 asking for. Do you recall how he conveyed to you
22 the lanes and the numbers?

23 A. No, I don't have this
24 recollection. I think I have this thing ready. I
25 was waiting for four numbers to insert and send

1 it.

2 Q. Okay. Do you recall
3 whether he referred to them as
4 northbound-southbound or whether he referred to
5 them as eastbound-westbound? Do you have any
6 recollection of that one way or another?

7 A. I don't remember the
8 telephone conversation, but I know that Tradewind
9 called it different. They didn't call this
10 southbound-northbound, but they called it
11 westbound-eastbound.

12 Q. Right. And we will get
13 to that when we look at the Tradewind report, but
14 what you're referring to is Tradewind starts on
15 the LINC, which of course is moving in an
16 east-west direction, and continues with that on
17 its measurements, even when referring to the Red
18 Hill. Is that correct?

19 A. Yes. Yes, it is.

20 Q. Okay. And, at this
21 point, did you appreciate that the average FN for
22 each lane doesn't reveal of course the range of
23 friction values over the length of the surface? I
24 take it that's something you appreciated?

25 A. Oh, yeah. That's only

1 the average, yes.

2 Q. By definition. Right?

3 A. By definition. That's

4 only the average, yes.

5 Q. Okay. And so, with that
6 knowledge, why are you just giving Mr. Moore the
7 averages by lane, only the averages?

8 A. Only the averages,
9 because he didn't give me the range. He gave me
10 just the -- he didn't give me the range from two.
11 He only gave me this four -- you know, if I said,
12 like, you know, I assume that he didn't give me
13 anything for LINC, so he would give me only these
14 four numbers, the average. He didn't give me the
15 range.

16 Q. Right. And do you recall
17 if Mr. Moore was asking you only for averages or
18 was he just saying give me the results?

19 A. I don't think he was
20 asking for the range. He was only asking for the
21 results.

22 Q. Sorry, you said you don't
23 think he was asking for the range, he was only
24 asking for the results. Was he asking for an
25 average or was he just saying give me the results?

1 A. I think he wasn't asking
2 for the range. He wanted the results for -- only
3 asking for results. No, he didn't ask for range.

4 Q. Did he ask for the
5 average?

6 A. I don't have, you know,
7 you know, the specific recollection, you know.
8 You know, at that time, I thought that, you know,
9 he asked -- he would be satisfied with the average
10 if I sent him the average.

11 Q. Given that he was asking
12 for you that morning by noon?

13 A. Yeah. Yes. It was, you
14 know, I had to deliver this thing by noon and I
15 was just, you know, only 50 minutes before the
16 deadline, so...

17 Q. Right. And so, would you
18 have provided the numbers in that fashion absent
19 the request to get it to you on an expedited
20 basis?

21 A. Sorry, can you repeat the
22 question?

23 Q. Would you have provided
24 the numbers, just giving the average, without
25 having been asked to do so on an expedited basis?

1 A. No. At that point of
2 time, I thought that I delivered what he wanted.

3 Q. No, I understand that. I
4 know. And I'm asking would you have delivered
5 just the averages to him in a situation other than
6 get them to me now?

7 A. Oh, if I had more time,
8 then I would probably do the same thing as I did
9 for the 2007, so I would say this is the average
10 or ranges from two. But, you know, because of the
11 pressure, time pressure, and the information that
12 I got, I just wanted to send, you know, the
13 information before noon, so that's...

14 Q. And did you consider at
15 all -- and appreciating it was in the context of a
16 client requesting the information on an expedited
17 basis, but did you consider the appropriateness of
18 doing that without further interpretation of the
19 results to someone who is not an expert in the
20 field of friction and friction results?

21 A. No. At that point of
22 time, I thought I delivered what he wanted. I
23 didn't have, you know, concerns about this at that
24 point of time.

25 Q. All right. Now, you

1 provide, I think as requested, the 2007 MTO
2 numbers and the 2013 Tradewind numbers. What, at
3 that point, was your understanding, at that point
4 in time, of the ability to correlate between grip
5 tester results and locked-wheel skid trailer
6 results?

7 A. You know, at that point,
8 I knew that later on I tried to find some
9 correlation between the two. But, you know, for
10 me, it was -- I know I downloaded some papers
11 about this, but for me, at that point of time, it
12 was that I wasn't aware of any good or reliable
13 correlation between the two.

14 Q. Okay. And, sorry, you
15 weren't aware of it. Can I turn it around? Is it
16 fair to say that you understood that there wasn't
17 a precise or any correlation between the grip
18 tester and locked-wheel test results, at least to
19 your understanding at that time?

20 A. Yeah. At that time, it
21 was, like, you know, I would send him something
22 quickly and then later on I would more think about
23 this.

24 Q. I understand. I just
25 want to know your knowledge at the time. At the

1 time, were you aware that there was not a precise
2 or, however you want to characterize it, a good
3 correlation between grip tester and locked-wheel
4 tester numbers?

5 A. You know, at exactly that
6 time, because I know that I look at some papers,
7 you know, and I downloaded some papers, I know
8 that those numbers could be similar, but I wasn't
9 aware of any reliable correlation. I know that
10 they could be similar with locked-wheel slightly
11 higher, but at that point of time that was the
12 other correlation. I was not aware of any
13 reliable correlation between the two.

14 Q. Do I understand correctly
15 to say that your understanding was that the
16 locked-wheel tester would have higher friction
17 results than the grip tester or the other way
18 around?

19 A. It would be slightly
20 higher. Locked-wheel would be slightly higher.

21 Q. Okay.

22 A. They would be similar,
23 but locked-wheel will be slightly higher. And
24 actually, you know, later on, you know, I did some
25 analysis and I didn't confirm anything from ARA

1 and globe, EnGlobe, testing that they were, you
2 know, as I anticipated that the locked-wheel was
3 slightly higher by about three units.

4 Q. Right. Maybe we're at
5 cross-purposes here. Was it your understanding
6 that -- and forget about later at this time.

7 A. Yeah.

8 Q. That, all other things
9 being equal, if they were performed at the same
10 speed, on the same roadway, under the same weather
11 conditions, are you saying that your understanding
12 was that the locked-wheel tester would return a
13 higher friction number than a grip tester would
14 return a grip number?

15 A. If they were -- so, you
16 say if they were carried out at the same speed,
17 because the speed was different. This one was 90.
18 The other one was 50. At the same -- you know,
19 like, you know, first of all, I understand that,
20 you know, the locked-wheel was never -- would
21 never be done at 90 kilometres per hour. I know
22 from the -- because this is what I downloaded from
23 Dr. Emery's presentation, Get a Grip, that was at
24 65 kilometres per hour. So...

25 Q. I think you said that the

1 locked-wheel tester was never done at 90
2 kilometres an hour. I'm going to suggest that's
3 an error. The locked-wheel tester, that is --

4 A. No, I'm sorry. I was
5 thinking about grip tester. I just confused. I
6 made an error. Locked-wheel, for me, locked-wheel
7 is done at the design -- at the posted speed, so
8 it would be 100 kilometres per hour or 90
9 kilometres per hour on the Red Hill Valley
10 Parkway, but now the typical standards in the
11 U.S. -- in the U.S., they called it 40 miles per
12 hour, which is about 65 kilometres per hour, so
13 that's a fast speed.

14 And the grip tester is -- I
15 think grip tester is always done at 50 kilometres
16 per hour. I'm not aware of any test where it was
17 done at 65 and definitely not, like, you know,
18 100. So, grip tester, so grip tester is slower.
19 Grip tester is a slower speed, locked-wheel is
20 higher speed, so generally, okay, locked-wheel
21 would be higher.

22 Now, if it's at the same
23 speed -- okay. If it's at the same speed, I would
24 have to look at, you know...

25 Q. Is it fair to say you're

1 not sure?

2 A. No, I'm not sure. I
3 would probably have to look at, you know, the
4 presentation by John Emery when he confirmed
5 various friction testers, because he compared at
6 65 kilometres per hour, so it's --

7 Q. Well, we've heard a fair
8 amount of evidence that, generally speaking, the
9 grip tester, all other things being equal, will
10 return higher grip numbers than a locked-wheel
11 tester will return friction numbers. Is that --

12 A. Yes. That's what I said.
13 It would be somewhat higher than -- because I know
14 that I did, sort of, you know, speed correction.
15 So, for me, the locked-wheel would give about, at
16 that point of time, roughly about 2.5 units higher
17 than the -- 2.5 units higher, between two and
18 2.5 units higher than -- you know, the grip tester
19 would give us 2.5 units higher than the
20 locked-wheel.

21 Q. Which is the opposite of
22 what you were saying before, which is why --

23 A. Sorry. You know what?
24 Maybe I was -- so, the grip tester tested at the
25 grip -- no. The grip tester, when the testing was

1 done at 50 kilometres per hour, whatever they
2 specify, would give slightly higher numbers by
3 about, you know -- I think at that time it was
4 about 2.5. Slightly higher than the locked-wheel
5 ran at 90 kilometres per hour. Yes, that's --

6 Q. Okay.

7 A. Sorry if I confused this.
8 For me -- and, actually, I verified this thing
9 later on when I compare EnGlobe with ARA.

10 MS. JENNIFER ROBERTS:

11 Commissioner, may I suggest that we break for
12 lunch? I think that might be a good moment.

13 JUSTICE WILTON-SIEGEL: I'm
14 inclined to think that as well, Mr. Lewis.

15 MR. LEWIS: Yes, that's fine.
16 Thank you. I was about to suggest that.

17 JUSTICE WILTON-SIEGEL: Okay.
18 Well, we have consensus on that. So, let's break
19 until 2:15.

20 --- Luncheon recess taken at 12:57 p.m.

21 --- Upon resuming at 2:15 p.m.

22 MR. LEWIS: We're back. May I
23 proceed, Commissioner?

24 JUSTICE WILTON-SIEGEL: Yes.

25 MR. LEWIS: Thank you.

1 BY MR. LEWIS:

2 Q. Dr. Uzarowski, just to
3 return briefly to where we left off before lunch,
4 on January -- and, really, the question that I
5 started with before we got into our last exchange.
6 On January 24, 2014, when you had the conversation
7 with Rowan Taylor and passed on the average
8 results to Mr. Moore, did you understand at that
9 time that the grip tester is likely to return
10 higher grip numbers testing at 50 kilometres an
11 hour than the locked-wheel skid tester would
12 return friction numbers test at 90 kilometres an
13 hour, at that time?

14 A. At that time, I would
15 say, yeah, slightly.

16 Q. Okay, at that time.
17 Thank you.

18 Now, a slightly different
19 topic. This morning, there's just something I
20 wanted to return to. You spoke about, when we
21 were looking at the e-mail chain that Mr. Moore
22 forwarded to you on September 30, 2013, this was
23 the one that was the long City e-mail chain that
24 he sent to you, so I guess it was on October 1,
25 sorry, September 30 is when you had the

1 discussion, it was on October 1, and you said to
2 the effect of:

3 "I also remember that they
4 mentioned speed because, you
5 know, I talked with the City
6 about speed. I think it
7 started in 2008, my concern
8 about speed on the Red Hill
9 Valley Parkway."

10 And I didn't follow up at that
11 time. What were you referring to about from 2008?

12 A. In my February 2008 note,
13 there is a statement that I talk with Gary about
14 speed and it was Red Hill Valley Parkway and also
15 about overloading trucks.

16 Q. So, speed and more trucks
17 than were contemplated?

18 A. So, about more trucks, I
19 didn't know at the time, but there were trucks
20 that were heavy, that were overloaded.

21 Q. Sorry, the individual
22 trucks being overloaded?

23 A. Yes.

24 Q. Which puts presumably
25 greater strain on the road?

1 A. On the pavement, yes.

2 Q. Okay. And, sorry, the
3 speed, this is February 2008?

4 A. February 2008, my -- in
5 my note from the meeting, yes. I mentioned -- I
6 talk about speed.

7 Q. Okay. We'll see if we
8 can pull that up and come back to it.

9 Registrar, can we go to
10 RHV933, image 326. 325 and 326. The March 4
11 note.

12 And then I see on the
13 right-hand side, this is at image 326, there's
14 a -- at number 9, I see it says on the right-hand
15 side towards the bottom:

16 "Pavement overloading on RHVP
17 and LINC and speed."

18 A. Yes.

19 Q. Is that what you're
20 referring to?

21 A. Like pavement loading,
22 yes, overloading and speed, yes.

23 Q. Okay. And who is this
24 discussion with?

25 A. With Gary Moore.

1 Q. Okay. All right. And do
2 you recall what you told him? I can see what your
3 note says, but --

4 A. I was concerned with
5 overloading because, you know, it was a perpetual
6 pavement. You know, I don't want overload to have
7 negative impact on this. And, also, the speed, in
8 the monitoring station there was traffic
9 monitoring part and speed was monitored and speed
10 was recorded very high. There were number, 120
11 plus.

12 Q. And you raised that with
13 Mr. Moore at the time?

14 A. Yes, I did.

15 Q. Okay. Thank you. Now,
16 if we could go back, Registrar, to overview
17 document 6, images 89 and 90.

18 So, we've been talking about
19 the e-mail on January 24, 2014 that you sent to
20 Mr. Moore with, if I can call it, the bottom line
21 Tradewind results. And then in paragraph 235,
22 which, again, covers both images 89 and 90,
23 15 minutes after receiving that message from you,
24 Mr. Moore e-mailed Thomas Dziedziejko, who is the
25 general manager of AME, of Aecon Engineering

1 Materials Corp., and who also was listed as one of
2 the authors of the paper that you sent to
3 Mr. Moore just 15 minutes earlier.

4 And Mr. Moore, you weren't
5 copied on this e-mail, but he sent it to
6 Mr. Dziedziejko and as part of it he summarized
7 the skid resistance results that you had sent to
8 him. That's fine. You can just leave it there.

9 So, you'll see on the
10 right-hand expanded image it's the same text that
11 you had just sent to Mr. Moore.

12 So, the first thing, did you
13 know Mr. Dziedziejko professionally or personally
14 at the time?

15 A. I've known
16 Mr. Dziedziejko very well.

17 Q. Okay. And had you worked
18 with him previously?

19 A. I don't recall particular
20 project, but he was very well known in the
21 industry.

22 Q. And did you know that
23 Mr. Moore intended to send this information to
24 him?

25 A. No, I didn't.

1 Q. And when did you become
2 aware of that, that he did that?

3 A. This is not this e-mail
4 on the 24th because, "hope this helps," this is
5 the e-mail from 2015. I'm sorry that, you know,
6 I...

7 Q. I'm sorry, this is the
8 e-mail that Mr. Moore just sent to
9 Mr. Dziedziejko. Are you saying this is something
10 different?

11 A. Okay, because I sent him
12 something different, so "hope this helps." So, he
13 didn't send exactly the same thing that I sent to
14 him.

15 Q. Sorry, yeah. He didn't
16 just forward your e-mail?

17 A. Yeah. Sorry.

18 Q. Don't think ahead. Just
19 try to stick with me here. He starts off, he
20 writes to Tom, as you can see in paragraph 235,
21 sends him some pictures, you weren't copied on the
22 e-mail and so forth, but he describes the Red
23 Hill, the SMA surface course, and then he gives
24 the summary, and this part of it is clearly taken
25 from what you had just sent to Mr. Moore. Okay?

1 A. Yes. Yes, I did. Thank
2 you.

3 Q. Okay. So, when did you
4 find out that Mr. Moore sent this to
5 Mr. Dziedziejko?

6 A. During this inquiry.

7 Q. Okay. You can take that
8 down -- actually, no. Before you do, sorry.

9 At the bottom of that, after
10 Mr. Moore's name and title, it says:

11 "PS, thoroughly enjoyed event
12 last night. Thanks again,
13 Tom."

14 Did you attend or have any
15 knowledge of an event the prior night, January 23,
16 with Mr. Moore and Mr. Dziedziejko?

17 A. No, only under this
18 inquiry. Nothing at that time.

19 Q. Okay. You can take that
20 down. Thank you. And then if we could go to the
21 next image, 91, and paragraph 240, if you can call
22 that up, please.

23 So, on January 26, you and
24 Dr. Henderson received an e-mail from Leonard
25 Taylor of Tradewind attaching the final Tradewind

1 report and he then just writes a short
2 three-paragraph e-mail. In the second paragraph,
3 he writes:

4 "You will note that while the
5 average grip number friction
6 levels were generally uniform
7 and comparable to or above the
8 relevant reference levels on
9 the Lincoln Alexander Parkway,
10 those from the Red Hill Valley
11 Parkway were considerably
12 below the reference levels and
13 less consistent."

14 So, did you, first of all,
15 read this e-mail at the time, when you received
16 it?

17 A. Yes, I did.

18 Q. And do you recall if you
19 read the Tradewind report itself on that day or
20 was it at some later point that you first read it?

21 A. I know I've read this,
22 you know. I don't remember that was on that
23 particular day, but roughly in that time, when I
24 was -- when we're waiting on the Golder's report.

25 Q. Okay. Right. So, you

1 read it before you finalized or at least finalized
2 the draft Golder report that you appended it to?

3 A. Yes. Yes, I did.

4 Q. All right. Now, we know
5 that you didn't send the Tradewind report to
6 Mr. Moore until January 31, and we'll get to that,
7 but we don't have any indication that you
8 forwarded Mr. Taylor's e-mail to Mr. Moore with
9 this.

10 Do you know why you didn't do
11 that?

12 A. Why? No, I did it
13 because I wanted to address this thing, to look at
14 this thing, in the report, analyze and look at the
15 report, in our report.

16 Q. In your report, okay.
17 And do you recall if, before sending the report to
18 Mr. Moore, if you spoke to him about the Tradewind
19 report or Mr. Taylor's e-mail?

20 A. I don't recall and I
21 don't have any notes.

22 Q. I think there's -- we can
23 go to RHV933, Registrar, and image 638.

24 So, there's reference here on
25 January 27 and 28 -- or two things. They don't

1 mention Mr. Moore on January 27. It says

2 "friction results" and, January 28:

3 "VH - Hamilton with LU - what

4 described on the report, HIR,

5 instru -- "

6 Which I take as being

7 instrumentation, and:

8 " -- friction."

9 There's nothing that mentions

10 Mr. Moore, so are you saying you don't think you

11 did speak with him beforehand, before sending it

12 to him.

13 A. You said with Mr. Moore

14 or Mr. Taylor?

15 Q. No, with Mr. Moore.

16 A. With Mr. Moore, the 27th,

17 no, I didn't.

18 Q. Okay. And what about

19 prior to sending Mr. Moore the report on the 31st?

20 A. I don't recall and I

21 think I would rely on my notes. There are no

22 notes, I believe, before, so I don't think I did.

23 Q. Okay.

24 A. I don't recall.

25 Q. If you could go to

1 image 640 there, please, Registrar, in the same
2 notes. 641, perhaps.

3 There's a reference there to
4 call Gary, which is after you sent it to him, so
5 do you think it's fair to say, then, that if you
6 spoke to him, it was then after you sent him to
7 report?

8 A. Yes. I sent him -- I
9 e-mailed him the report on the 31st and then I
10 called him ahead of a face-to-face meeting.

11 Q. Okay. And, having then
12 reviewed the Tradewind report -- actually, we can
13 go back to image 19 in OD 6, I think images 91 and
14 92.

15 Paragraph 241 summarizes --
16 and I'm not going to go through and read it. I
17 know you're familiar with it and I think we're not
18 going to go through all the parts of the report.
19 But having reviewed the Tradewind report and then
20 before you sent it to Mr. Moore, what were your
21 impressions and your reaction?

22 A. My impression is, you
23 know, the numbers were what they were, but my
24 overall impression was that number that he
25 referenced, it was overly conservative.

1 Q. And which number are you
2 referring to?

3 A. A GN of 48.

4 Q. Okay. So, you mean in
5 the right-hand, image 92, in the third paragraph?
6 If you could call up from the second paragraph to
7 the fourth paragraph there, yes. All right.

8 The second paragraph there is
9 where the Tradewind report refers to the relevant
10 UK investigatory level 2, GN of 48. Is that what
11 you're referring to?

12 A. Yes, it is.

13 Q. And you say that you
14 considered that to be too conservative?

15 A. Yes, overly conservative.
16 Yes.

17 Q. Okay. And on what basis
18 did you form that view?

19 A. I mentioned before that I
20 use the TAC 1997 pavement design and management
21 guide and there's a reference for UK level 2
22 requirement and I know that somewhere around that
23 time I had downloaded UK PMS, technical paper, and
24 it's also for level 2, the number is given, and
25 41, which is equivalent to certify what is in the

1 TAC guide.

2 Q. Okay. So, there's a few
3 things to unpack there. First of all, the TAC
4 guide that you're referring to -- I wonder,
5 Registrar, if you could pull that down but keep
6 image 92 up.

7 And I'm going to take you to
8 the February 28, 2019 Golder pavement evaluation
9 report, because this is probably the easiest place
10 to pull it up. So, it's much later in time but
11 there's a reference to the TAC 1997 guide.

12 So, this is GOL6612. If you
13 could call that up as well, Registrar, and go to
14 image 2. And there's a reference to the -- yeah.
15 At the very bottom, yeah, bottom paragraph, last
16 three lines:

17 "An example of criteria for
18 identifying low friction
19 pavement surfaces given by the
20 Transportation Association of
21 Canada, footnote 4 or
22 reference 4, is shown in
23 table 1 below and the same
24 criteria are also included in
25 2."

1 And so, if we could go, then,
2 to table 1, which is at the next page, is this
3 what you're talking about?

4 A. No. It was on the next
5 page.

6 Q. On the next page?

7 A. On the next page in the
8 TAC book.

9 Q. I see, so not this one?

10 A. No. This book is
11 referenced here, I believe, on the next page.

12 Q. Well, this is -- okay.
13 Sorry. Go on.

14 A. On the next page under
15 References, if we go to the next -- oh,
16 Transportation Association of Canada Pavement
17 Design and Management Guide, 1997, so this is the
18 book.

19 Q. Yes.

20 A. And in that book, next to
21 that table that you show, there is a table from UK
22 with CFME values for level 2 and it's identified
23 at 0.35.

24 Q. That's zero point?

25 A. 35, which is equivalent

1 of GN of 41.

2 Q. Okay. Right. You're
3 talking about the SCRIM value? The SCRIM value is
4 35?

5 A. SCRIM value is 35, which
6 UK PMS shows that this is equivalent of GN of 41.
7 And, actually, I think Mr. Rowan Taylor later on
8 corrected that they made an error and it should be
9 41.

10 Q. Okay. So, you're talking
11 about the later -- go back to the previous
12 image there, please, Registrar.

13 Okay. So, you referred to two
14 tables, though. You referred to the UK PMS table,
15 which you just referred to, but you also referred
16 to the TAC guide, and that's what table 1 is.
17 Right?

18 A. Yeah, but table 1 is not
19 for this. Table 1 was for FN40. But next to that
20 table on the following page was that table that I
21 was talking about.

22 Q. Okay. And you said that
23 that indicated a what?

24 A. That indicated that --
25 because you showed that table a few pages from

1 that guide and it shows that UK SCRIM requirements
2 for level 2.

3 Q. Okay. So, you're
4 referring to in the TAC guide, the reference to
5 the SCRIM and the --

6 A. Yes.

7 Q. That you're talking
8 about?

9 A. Yes.

10 Q. Okay. You can take that
11 down, then, Registrar. Thank you.

12 And then if I've understood
13 you correctly, you're saying at this time, in late
14 January 2014, you were aware that there was a
15 later table that showed that the investigatory
16 level for the grip tester was 41, not 58. Is that
17 what you're saying?

18 A. No, no. This table under
19 this -- as part of this inquiry, Mr. Rowan Taylor
20 admitted to the Commissioner that there was an
21 error. But I'm talking about the 1997 TAC guide
22 table and also UK PMS document, which was roughly
23 2006 or something, that showed the value for level
24 2.

25 Q. Right. And I think I

1 understand what you're saying, is that -- well,
2 I'll back up.

3 Mr. Taylor, in a letter to the
4 Commission, acknowledged, Mr. Rowan Taylor
5 acknowledged, that they used in their report an
6 earlier version of the investigatory levels. Is
7 that what you're talking about when you refer to
8 Mr. Rowan Taylor having acknowledged this?

9 A. You know, I know that he
10 acknowledged this thing, but I have the value of
11 41 is from the TAC 1997 TAC book and also from the
12 UK PMS paper that I downloaded roughly about that
13 time when I was looking at the results of
14 Tradewind Scientific.

15 MS. JENNIFER ROBERTS: Counsel
16 and Commissioner, I wonder if it would be helpful
17 for this moment to actually go to that.

18 JUSTICE WILTON-SIEGEL: Have
19 you got that document? I think it's absolutely
20 right. We're going around in circles here. Can
21 you give us the reference for the TAC guide?

22 MS. JENNIFER ROBERTS: I can.
23 It's Golder 3936, image 3, we think, subject to
24 Dr. Uzarowski's confirmation.

25 JUSTICE WILTON-SIEGEL: Okay.

1 MR. LEWIS: Registrar, if you
2 could keep this page up while also pulling up the
3 TAC guide, that would be great.

4 THE REGISTRAR: Sorry,
5 counsel, is it 396?

6 MS. JENNIFER ROBERTS: 3936.

7 THE REGISTRAR: It may be a
8 different doc ID. Sorry, I don't have that one.

9 MR. LEWIS: Okay. He may not
10 have that because it wasn't referred to in the
11 overview document.

12 MS. JENNIFER ROBERTS: So,
13 we're e-mailing it to the Registrar right now.

14 MR. LEWIS: Thank you.

15 JUSTICE WILTON-SIEGEL: This
16 may take a little bit of time.

17 THE REGISTRAR: Yes.

18 JUSTICE WILTON-SIEGEL: Would
19 it make sense to go on and come back to this once
20 the registrar has received it?

21 MR. LEWIS: Yes, I believe it
22 would. I don't want to go too far ahead. Give me
23 one moment and see if I can.

24 JUSTICE WILTON-SIEGEL: Thank
25 you.

1 BY MR. LEWIS:

2 Q. Okay. So, if we could go
3 to the Tradewind report itself.

4 THE REGISTRAR: Sorry,
5 counsel, I have the document now.

6 MR. LEWIS: Great.

7 THE REGISTRAR: Let me just
8 load it in and then I can share it on screen for
9 you.

10 MR. LEWIS: Thank you.
11 Registrar, if this is going to take a few minutes
12 still --

13 THE REGISTRAR: It's okay.

14 MR. LEWIS: There we go.
15 Thank you.

16 THE REGISTRAR: Sorry. I have
17 to shut down the program and open it up again any
18 time I add something new. Apologies.

19 MR. LEWIS: Okay. Do we have,
20 Ms. Roberts, an image number?

21 MS. JENNIFER ROBERTS: I think
22 it's image 3. Do we have that right?

23 THE WITNESS: Yes.

24 BY MR. LEWIS:

25 Q. Can we go to the previous

1 image just for one second just to see what
2 precedes it. Okay.

3 So, in the middle paragraph --
4 sorry, I'm going to the top. It's table 2.6,
5 which gives criteria for identifying low-friction
6 pavement surfaces. And then the middle paragraph
7 refers to the SCRIM surveys and investigatory
8 levels in table 2.7, so that's on the next page.
9 Can you go to there. All right. And if you could
10 expand just the chart itself. Thank you. That's
11 easier to read. There we go.

12 And that's the SCRIM level.
13 Right?

14 A. Yes, it is.

15 Q. So, if you could then
16 explain from that where you derive the number, I
17 think you said 40, that you referred to?

18 A. Yes. So, here, reference
19 is level 2 and level 2 here is showing the SCRIM
20 is 0.35, so there is carriageway, all purpose, so
21 this is where it is.

22 And, you know, I found,
23 because I downloaded a number of documents, that
24 in PMS, the SCRIM of 0.35 was equivalent of GN of
25 41.

1 Q. And I think that's what
2 we've seen in a later CIMA report and also in
3 Dr. Flintsch's friction primer referred to the
4 SCRIM and grip number correlations?

5 A. Yes.

6 Q. Okay. Got it. So, do I
7 understand you correctly in saying that at this
8 time, in late January of 2014, you looked at the
9 TAC guide and you looked at the UK PMS chart that
10 you referred to, and that is how you came to the
11 conclusion that you just referred to?

12 A. Yes. This TAC guide was,
13 I would say, one of the main documents that I was
14 looking at.

15 Q. Okay.

16 A. Because, you know, I
17 think all pavement engineers are likely familiar
18 with it.

19 Q. Okay. You can take that
20 down, please, and if we could make this an
21 exhibit, which I believe is 77.

22 THE REGISTRAR: Noted,
23 counsel. Thank you.

24 EXHIBIT NO. 77: 1997 TAC
25 guide, GOL3936.

1 MR. LEWIS: Thank you. Sorry,
2 how many pages is that particular document,
3 Registrar?

4 THE REGISTRAR: It's just
5 three or I just have three.

6 MR. LEWIS: Just that excerpt
7 of the page. Thank you. You can take that down,
8 Exhibit 77.

9 BY MR. LEWIS:

10 Q. Okay. So, you indicated
11 that you thought that the Tradewind report was
12 overly conservative and you described why. Did
13 you have any other views that you formed at that
14 time?

15 A. Yes.

16 Q. And what were those?

17 A. Because when I look at
18 the -- there was a technical paper by MTO on ten
19 years performance of SMA and Highway 401 and they
20 showed the results, so I realize that basically
21 all those results would be under investigatory
22 level. So, you know, my overall opinion based on
23 this, on this TAC guide and also there was an
24 NCHRP paper referenced in that TAC guide, so I
25 look and then that was my conclusion, that it was

1 overly conservative.

2 Q. Okay. No, I understand
3 that. But beyond that, what did you conclude?

4 A. You know, I look at the
5 results. So, is this your question, like, you
6 know, I look at the results of the grip tester --

7 Q. Yes.

8 A. -- from Tradewind
9 Scientific and I used some general comparison or
10 how I would anticipate and I concluded that those
11 results, I called them relatively low. I don't
12 know if you want me to elaborate.

13 Q. So, that's what you
14 referred to later in the report, so --

15 A. Yes.

16 Q. -- perhaps we can wait
17 until we get to that because those were the words
18 you were using there, so why don't we park that
19 for a moment.

20 On January 31, you sent
21 Mr. Moore the draft Golder report, and we can go
22 to image 96 of OD 6.

23 In paragraph 251, that's when
24 you e-mailed it to Mr. Moore and you indicated:

25 "As an updated draft report on

1 the condition of pavement on
2 the RHVP six years after
3 construction, we have included
4 the friction testing results
5 in the updated report."

6 And you ask him to contact you
7 if he has any questions. And the first issue
8 is -- and if we could go to the report itself, and
9 this is what we call the Golder report. Right?

10 A. The Golder report, yes.

11 Q. Right. And if you could
12 go to GOL2980. Sorry, 2981 is the report itself.
13 There we go.

14 So, this is the Golder report
15 and it's stamped draft, so am I correct this was a
16 draft, not a final report?

17 A. Yeah, it was a draft
18 report. Yes.

19 Q. Okay. And if we go to
20 image 101, appendix E, Friction Testing Results,
21 also marked draft. And then next image, please,
22 is the first page of the Tradewind report, also
23 marked draft.

24 Was the Tradewind report a
25 draft report?

1 A. No, it was not. It was
2 the final. It was the administrative error. It's
3 automatically insert this, the draft word, where
4 it should know that Tradewind was the final.

5 Q. Okay. Sorry. If I
6 understand you correctly, you're saying when
7 inserting the draft watermark on the Golder
8 report, because the Tradewind report became part
9 of the same document, it also applied draft to the
10 Tradewind report?

11 A. Yes, that's correct.

12 Q. Was the fact that the
13 Tradewind report was not a draft but was rather a
14 final report, is that something you recall ever
15 discussing with Mr. Moore?

16 A. No, no. There was never
17 a question, no.

18 Q. And what's Golder's
19 practice, generally speaking, with respect to
20 sending clients draft reports?

21 A. We would send, you know,
22 a draft report and discuss and if the client --
23 that was our practice. If the client had
24 comments, then we would incorporate the comments
25 and finalize.

1 Q. That applies to the City
2 of Hamilton as well as other clients?

3 A. Yes. Yes, it does.

4 Q. And if a client has
5 comments on a draft report, how do you deal with
6 those?

7 A. If the client has
8 comments, I would look at the comments and then,
9 you know, think, you know, whether I agree with
10 the comments. And then if I agree, then I would
11 incorporate or, if I didn't, then I would discuss
12 with the client. But typically the majority of
13 comments that we receive were just grammatical,
14 you know, style comments. Very rarely something
15 technical.

16 Q. Okay. And if the client
17 did have technical comments or ones that affect
18 the substance of your report and conclusions and
19 recommendations, how do you deal with those?

20 A. Well, I would discuss and
21 then if we agreed, then, you know, discuss and
22 finalize the comments and would incorporate them
23 if they were justified.

24 Q. Okay. And with
25 Mr. Moore, did he provide comments to you from

1 time to time on draft reports?

2 A. Yeah. Mr. Moore was very
3 quick. He typically provided his comments very
4 promptly. But, you know, mainly, as I said, they
5 were, like, some grammatical or style. I don't
6 recall any significant technical changes or
7 comments.

8 Q. Okay. Did I understand
9 you correctly to say that if he did, that it would
10 typically be fairly quick?

11 A. Yes, it was very -- he
12 responded quickly.

13 Q. And your covering e-mail
14 that we looked at refers to this as an updated
15 draft report. That suggests you're referring back
16 to a prior draft. Would that be the one back in
17 September that we already talked about?

18 A. Yes. So, updated is --
19 the update were to the one that we submitted
20 before we incorporated friction into this, so
21 basically, you know, the visual structure
22 evaluation of the pavement. So, that was the
23 update.

24 Q. Okay. And your
25 January 31 e-mail to Mr. Moore with the draft

1 Golder report copied Dr. Henderson and Ms. Rizvi.
2 Did you provide the report to anyone else at the
3 City?

4 A. No, no. I only e-mailed
5 it to Mr. Moore and then I -- yeah, only to
6 Mr. Moore and then I met face to face in
7 delivering a hard copy.

8 Q. And did you have any
9 discussions with City staff, other than Mr. Moore,
10 about the friction testing? There's an e-mail
11 back on November 19 about organizing friction
12 testing and the logistics, as I think we
13 described. But beyond that, did you have any
14 discussions with anyone at the City about the
15 friction testing?

16 A. No, not at the time. No.
17 I think it was only -- I don't recall. I don't
18 recall, no.

19 Q. And if we go to image 10
20 of the Golder report, and so maybe if we could
21 just expand this page. Can we do 5, section 5, to
22 begin with. Yes. Thank you.

23 So, you indicate briefly when
24 the testing was carried out in November 2013 by
25 Tradewind using a grip tester and that it was

1 completed in the northbound and southbound through
2 lanes and you refer to the Tradewind report in
3 appendix E. And then it also covers the
4 results -- the Tradewind report also covers the
5 friction testing on the Lincoln Alexander Parkway.
6 And then you refer to table 6 below, which sets
7 out the average numbers by lane.

8 And then in the last
9 paragraph, you refer to the:

10 "Friction number values are
11 higher than when measured in
12 2007, immediately after
13 construction. Between 30 and
14 34, they are considered to be
15 relatively low. Typically,
16 the FN value should be at
17 least equal to or higher than
18 40 to be considered adequate.
19 In the United Kingdom, for
20 example, the FN value should
21 be at least 48 for a motorway
22 pavement."

23 So, was this your
24 interpretation of the Tradewind results?

25 A. Well, it was my -- it was

1 our, Golder's, interpretation of the results, yes.

2 Q. Okay. But was this
3 something you did in concert with Dr. Henderson
4 and Ms. Rizvi or was this your work?

5 A. It was not Ms. Rizvi.
6 I'm not sure whether I discussed this thing with
7 Dr. Henderson, so that would be, I think, mainly
8 me, mainly myself.

9 Q. And so, when you say
10 typically the FN values should be at least equal
11 to or higher than 40 to be considered adequate,
12 does that refer back to what we were just
13 discussing?

14 A. Yes.

15 Q. And that's, again, from
16 the TAC guide and then your further research into
17 the UK PMS chart that had the correlation between
18 the SCRIM and the grip number. Right?

19 A. Yes. And also in the TAC
20 guide reference NCHRP, I think 83, and these are
21 identical numbers. So, basically, yeah, this is
22 like that's -- it's coming from there.

23 Q. Okay. Now, then you go
24 on to say:

25 "In the United Kingdom, for

1 example, the FN value should
2 be at least 48 for a motorway
3 pavement."

4 What's that based on?

5 A. I included this thing
6 because I reference what Mr. Leonard Taylor said
7 in his report. I didn't want to ignore it, so I
8 just reference what he said in his report as a
9 requirement for a motorway in the UK. So, it was
10 just reference, referencing.

11 Q. Okay. Because what you
12 had concluded, as you just described, was that in
13 the UK, the values were lower than that because,
14 as you referred to, the UK PMS chart and the chart
15 which was from the UK that was referenced in the
16 TAC guide. Right?

17 A. Yes, so that was one
18 step. I also look at the other table, table 2.6,
19 and I did a brief comparison. So, for me, it
20 was -- it would be close to, you know -- and that
21 was example from Pennsylvania, but from the NCHRP
22 paper, so that was my conclusion, that, you know,
23 for -- it would have to be 40 to be adequate.

24 Q. Right. I understand
25 that. What I'm tripping on a bit is the reference

1 to -- because you're drawing from UK sources here
2 and in order to disagree with, as you described
3 Mr. Taylor's conclusion in the Tradewind report to
4 the threshold of 48 as being overly conservative,
5 you were drawing on UK sources as well for that.

6 So, what I'm wondering is why
7 you're then saying in the UK it should be at least
8 48 for a motorway pavement?

9 A. So, I know maybe it's not
10 precise, but, you know, at that point my point of
11 view was that, you know, what I saw in the TAC
12 guide, I saw, okay, this would be applicable for
13 our conditions, but I didn't want to ignore what
14 he said, what Mr. Taylor said, about the UK, so I
15 still included his number. But I also -- I look
16 at the other table. For me, you know, I thought
17 that for our condition, for here, 48 would be
18 adequate. I know it's not maybe fortunate
19 wording, but, you know, that was my intention.

20 Q. Were you trying to avoid
21 undermining the Tradewind report and its use of 48
22 as the threshold value?

23 A. I think so. You know,
24 with his reputation, I didn't want just to ignore
25 it, so at least I referenced it.

1 Q. But why would you not
2 state the reason behind that? I mean, you just
3 described it to us. Why would you not describe
4 that?

5 A. Describe what? Sorry.

6 Q. How you arrived at that
7 conclusion, that the Tradewind threshold of 48 was
8 overly conservative and how you arrived at that
9 conclusion.

10 A. I wanted to, you know,
11 have this thing like, you know, a simple,
12 pragmatic, practical recommendation, so I just,
13 you know, I made it simple.

14 Q. Okay. And in making it
15 simple, I think the point is if it needs to be at
16 least 40 or higher to be considered adequate, that
17 the average values that you reflect in table 6 are
18 all below that level. Correct?

19 A. Yes. They are below that
20 level, yes.

21 Q. Okay. And when you
22 referred to this before, that those results, the
23 Tradewind results, are considered to be relatively
24 low, relatively low to what?

25 A. I considered them

1 relatively low because those values were higher
2 than, you know, this commonly known FN of 30, if
3 you assume that, you know, the grip tester is
4 higher than, somewhat higher than, locked-wheel,
5 so those values were higher than 30. But then I
6 was thinking, so, what is this 30? 30, like at
7 least to me, it wasn't a clear definition. It's
8 not a minimum. You know, I think, you know,
9 somewhere MTO described as expected value, so I
10 thought it wasn't a red flag. This result were
11 not red flag results, but I considered them to be
12 relatively low for when I did the evaluation of
13 the pavement. I knew that, you know, there was a
14 concern that pavement was slippery, so that was my
15 conclusion. I realize that I'm not a safety or
16 friction expert, but my conclusion was that they
17 were not alarming low but relatively low, and I
18 wanted to improve that, recommend improve.

19 Q. Just when I hear
20 relatively I just think that it's relative to
21 something else and there's a few possible things
22 it could be. Right? Is it relatively low
23 compared to the UK standard of 48 that you refer
24 to in the last sentence? Is it relatively low to
25 the number 40 to be considered adequate? Is it

1 relatively low compared to the LINC results?
2 What's the benchmark that it is relatively low in
3 comparison to that you're referring to there?

4 A. I didn't compare them
5 with the LINC. I would say relatively low to what
6 I anticipate is 40. So, relatively low, I
7 wanted -- my meaning was not a red flag value, but
8 not what would be adequate. So, that's why I
9 considered -- I used that word relatively low.

10 Q. Okay. And when you refer
11 to a red flag, what do you mean by that? Is it
12 red flag to you something where it would be
13 inherently a safety risk? Is that what you see as
14 a red flag, or do you mean something different?

15 A. Oh, red flag, let's say,
16 if it was well below 30, like something that, you
17 know, MTO would be concerned. If it was 20 or 20
18 something, that would be a red flag. But this
19 one, for me, it was higher than 30, so not of, you
20 know, like immediate concern from the friction
21 number point of view. So, from the friction
22 number point of view it wasn't bad. But at the
23 same time, you know, how many factors impact the
24 safety, so there was other concerns, but not from
25 this friction number.

1 So, this is what I meant. Not
2 a red flag, yes, so not something, you know, very
3 low below, you know, some really concerned level.

4 Q. Okay. But the MTO
5 number of 30, that's a number that involves using
6 the locked-wheel tester, of course, which, as
7 discussed, has different results and typically
8 lower results even if taken as a higher testing
9 speed.

10 And so, would that not have
11 been something that ought to have been pointed
12 out, or no?

13 A. You know, I wanted to
14 keep it like, you know, I would say, pragmatic,
15 simple. Yeah, I know that MTO would use the
16 locked-wheel tester and there was some difference,
17 but, you know, I had some estimate of the
18 difference. So, for me, it was still above the
19 value of 30. But I don't know if I answered your
20 question. So, it was above the value of 30, but
21 nothing that would give me the comfort that it was
22 adequate.

23 Q. Okay. So, not a red
24 flag, but not adequate. Is that a fair bottom
25 line conclusion?

1 A. Yes, it is.

2 Q. Now, the numbers from
3 2007 that you referred to being immediately after
4 construction, there's no reference there to those
5 numbers being ones which were subject to the SMA
6 early age low friction issue. Right?

7 A. Yeah, you're right.

8 Q. Okay. And is that not a
9 relevant and, in fact, important point, that if
10 you're comparing 2007 numbers to 2013 numbers,
11 that it would be expected that the 2007 numbers
12 would increase, that they were low because of the
13 time in which they were taken?

14 A. Yes. You know,
15 obviously, yeah. This is what I definitely
16 anticipated, that those numbers would increase
17 after the traffic wears off the asphalt cement
18 film on the surface. Yes. That was -- I didn't
19 state it here but you are right, this is what I
20 would anticipate, definitely.

21 Q. Right. And so, if reader
22 was out having all of that background information,
23 if a reader is looking at this, would they not get
24 a misleading impression that, on these raw
25 numbers, grip numbers not friction numbers, but

1 these raw numbers, that they're higher in 2013
2 when they're actually being compared to something
3 which was, I use the term, artificially low at the
4 time, in 2007? Does it not give a misleading
5 impression?

6 A. I think maybe, you know,
7 that the wording maybe was not very fortunate, but
8 my intention was to show that, in my opinion, they
9 were not adequate. Something has to be done.

10 And, at the same time, the
11 purpose of that was the pavement evaluation
12 report, so there were other aspects that my
13 objective was to address, because the perpetual
14 pavement exhibited some distress that I had to
15 address. So, this was like, in my mind, there
16 were two aspects that I had to address and
17 basically in the next section I believe that I
18 addressed both of them.

19 Q. Right. And why don't we
20 go to that. So, number 6 is the Analysis and
21 Recommendations. I think it goes on to the next
22 page as well. But, of course, as you said, you
23 did other testing prior to being engaged to
24 conduct the friction testing as well.

25 And so, you give a description

1 of those issues, including increased traffic or
2 higher traffic than originally designed for, and,
3 you know, reference in the second paragraph to
4 top-down cracking.

5 If we could then go on to the
6 next page, the next image, in table 7 you have the
7 Cumulative ESALs.

8 And then if you could call up
9 the five text paragraphs there, Registrar.

10 So, if you could describe what
11 your overall recommendation was to address the
12 different issues. Could you describe what you
13 were recommending?

14 A. So, what I recommended,
15 there were two aspects. One was friction.
16 Another one was structure and visual condition of
17 the pavement.

18 So, the friction was
19 discussed. Now, from the structural and visual
20 point of view there were a few things. There were
21 longitudinal cracks, microcracking and dips and
22 bumps. And also what my concern was what we call
23 the lamination of the bonding, so these were the
24 stresses that were identified in that pavement and
25 this was a perpetual pavement. So, I wanted to,

1 in my recommendation, combine both, so
2 recommendation was the worst section -- I don't
3 know if you want me to elaborate a little bit.

4 Q. No, I would like you to
5 explain it, please, yes.

6 A. So, the worst section was
7 the section with the flooding, the particular
8 impacted by the flooding event. There were two.
9 So, we identified that subgrade was softer there
10 and this is where the majority of those
11 longitudinal cracks were and particularly the
12 bonding.

13 The bonding is, you know, in
14 the lamination is, you know, the separation of the
15 lifts, so they suddenly, instead of working as one
16 unit, they were to separate my highest stress and
17 their effect. So, on top was two and a half
18 kilometres, so I think it was probably about 125
19 on each side. So, I didn't see any other solution
20 than just overlaying this thing. And then we
21 would have cracking left, cracking, like, low
22 severe cracking, some microcracking, so we
23 recommended for those cracks what we call route
24 and seal those cracks and then place a single
25 layer of microsurfacing on the surface because

1 those cracks, you could see those bigger cracks,
2 but microcracking, that would be impossible to
3 see. But if you put the microsurfacing, this is
4 the coat that would seal everything, okay, address
5 microcracking and all other aspects.

6 But at the same time, the
7 microsurfacing would increase, significantly
8 increase, friction number on that surface. I
9 don't know if -- I wrote a paper on microsurfacing
10 in 2004 and when we had the friction numbers for
11 microsurfacing and they ranged from 52 to 60
12 something.

13 Q. So, after microsurfacing,
14 that's what --

15 A. After microsurfacing,
16 yes.

17 Q. Okay. Go on.

18 A. If it was done, like, if
19 it were necessary, of course we needed to include
20 a good aggregate with PSV, route and seal the
21 crack, put a microsurfacing so you address
22 everything. You address structural distresses and
23 also maybe I didn't mention here, but if you have
24 dips, when you would do microsurfacing, we put
25 typically a scratch coat first and then the

1 surface coat, so you fill all dips. All these
2 things, you can fill it and make it, you know, a
3 perfect surface. Not perfect, sorry, you know, a
4 good surface.

5 At the same time, you can
6 improve friction numbers, so the issue of low
7 friction numbers would be final, finished,
8 addressed. Sorry.

9 Q. Right. Okay. So, if I
10 can then summarize it, as I understand it, because
11 of the surface cracking and deterioration, you
12 recommended a mill and pave, I think you said an
13 overlay, for the worst areas, so that's a mill and
14 pave or a shave and pave for approximately 2.5
15 kilometres?

16 A. Yes.

17 Q. Right?

18 A. Yes.

19 Q. Okay. And that's where
20 the top-down cracking and the other items that you
21 indicated are the worst.

22 And then for the rest of it,
23 routing and sealing and microsurfacing?

24 A. Yes.

25 Q. Okay. And the

1 microsurfacing recommendation is in the second
2 last paragraph there. I guess the first part of
3 about the milling is in the third paragraph, the
4 milling and the shave and pave.

5 And then in the next
6 paragraph, the second last one:

7 "On the remaining portion of
8 the Red Hill -- "
9 Other than those 2.5
10 kilometres, that:

11 " -- the existing cracks in
12 the surface course should be
13 routed and sealed to prevent
14 the ingress of water and
15 incompressible material into
16 the pavement structure."

17 And then:

18 "Following the routing and
19 sealing, it is recommended
20 that a single layer of
21 microsurfacing be applied."

22 And then:

23 "By carrying out the mill and
24 overlay -- "

25 On the one hand:

1 " -- where required and
2 microsurfacing -- "

3 On the other, you state:

4 " -- the issue of relatively
5 low FN on the RHVP would also
6 be addressed."

7 So, both methods would address
8 the relatively low friction issue. Right?

9 A. Yes. Also, that this 2.5
10 kilometres, also that the bonding, microsurfacing
11 would not address the bonding. They would have to
12 shave and pave or mill, did the bonded, but for
13 the rest it's what you described.

14 Q. Right. Because that's
15 the bonding between the surface layer and the
16 second layer. Right?

17 A. Exactly.

18 Q. And you recall, was that
19 a contiguous or a continuous 2.5 kilometre
20 section?

21 A. No. It was a bit on one
22 side, a bit on the other, particularly between
23 Queenston Road and Barton Road, because this is
24 where the most severe flooding was.

25 Q. Right. Towards the

1 northern end --

2 A. Northern end of the
3 parkway.

4 Q. On both sides, both
5 directions?

6 A. Not the same distance,
7 but roughly the total would be about 2.5
8 kilometres. And this is why we took cores and the
9 cores, I think two of the cores, two or three,
10 confirmed the bonding, the lamination, we call it,
11 or the bonding.

12 Q. Now, in the Tradewind
13 report, if we go to image 114, please, this is the
14 very end of the Tradewind report, and in the
15 middle paragraph, you can call that up, Tradewind
16 indicated:

17 "However, the overall friction
18 averages as measured by the
19 grip tester on the designated
20 lanes and sections of the Red
21 Hill Valley Parkway were below
22 or well below the same UK
23 investigatory level 2. The
24 overall low levels and the
25 variability of friction values

1 along the length of the
2 parkway indicate the need for
3 a further examination of the
4 pavement surface, composition
5 and wear performance. It
6 should be noted that in
7 addition to the overall low
8 average grip number levels on
9 this facility, there are some
10 localized sections with quite
11 low friction values reaching
12 27 to 30 in several areas. We
13 recommend that a more detailed
14 investigation be conducted and
15 possible remedial action be
16 considered to enhance the
17 surface texture and surface
18 characteristics of the Red
19 Hill Valley Parkway based on
20 the friction measurements
21 recorded in the current
22 survey."

23 And do you feel that your
24 recommendations that we just discussed adequately
25 echo or deal with the recommendations in the

1 Tradewind report?

2 A. Yes, I did, because that
3 would be, you know, he says possible remedial
4 action and I considered what I considered as
5 corrective action.

6 Q. Right.

7 A. So, remedial or
8 corrective, the same.

9 Q. Right. Because it would
10 deal with the friction issue?

11 A. With the friction, yes.

12 Q. And, Commissioner, it's
13 3:30. We've gone a bit past the usual afternoon
14 break, but as I indicated at the outset, our
15 intention, unless otherwise suggested, would be to
16 break early with Dr. Uzarowski.

17 So, unless Ms. Roberts and
18 Dr. Uzarowski want to do something differently, I
19 would suggest that this would be a good time to
20 break for the day.

21 JUSTICE WILTON-SIEGEL: If
22 this is an appropriate break time, let's do that.
23 We'll let Dr. Uzarowski have a little bit of a
24 break until tomorrow morning at 9:30. We stand
25 adjourned until that time.

1 --- Whereupon the proceedings adjourned at
2 3:29 p.m. until Thursday, June 16, 2022 at
3 9:30 a.m.

4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25