

RED HILL VALLEY PARKWAY INQUIRY

TRANSCRIPT OF PROCEEDINGS  
HEARD BEFORE THE HONOURABLE J. WILTON-SIEGEL  
held via Arbitration Place Virtual  
on Thursday, February 23, 2023 at 9:33 a.m.

VOLUME 86

Arbitration Place © 2023  
940-100 Queen Street      900-333 Bay Street  
Ottawa, Ontario K1P 1J9      Toronto, Ontario M5H 2R2  
(613) 564-2727      (416) 861-8720

APPEARANCES:

Andrew C. Lewis  
Chloe Hendrie

For Red Hill Valley  
Parkway

Jonathan Chen

For City of Hamilton

Heather McIvor  
Colin Bourrier

For Province of Ontario

Rachel Laurion  
Chris Buck

For Dufferin Construction

Jennifer Roberts

For Golder Associates  
Inc.

INDEX

	PAGE
AFFIRMED: DEWAN KARIM	16056
EXAMINATION BY MR. CHEN	16056
CROSS-EXAMINATION BY MR. LEWIS	16173
EXAMINATION BY HENDRIE	16211
EXAMINATION BY MR. CHEN (CONT'D)	16236
PREVIOUSLY AFFIRMED; ROBERT BROWNLEE	16245
EXAMINATION BY MS. HENDRIE (CONT'D)	16245
EXAMINATION BY MR. CHEN (CONT'D)	16254

LIST OF EXHIBITS

NO.	DESCRIPTION	PAGE
236	Collision Rates Analysis; HAM64783	16148
237	2008-2021 LINC RHVP Mainline Collision Data; HAM64784	16172

1 Arbitration Place Virtual

2 --- Upon resuming on Thursday, February 23, 2023

3 at 9:33 a.m.

4 MR. LEWIS: Good morning,  
5 Commissioner, Counsel, Mr. Karim. We have  
6 Mr. Dewan Karim today with us, and his evidence is  
7 going to be led by Mr. Chen for the City of  
8 Hamilton. Mr. Karim's report was filed pursuant  
9 to your decision of December 14th. And  
10 cross-examination will follow, and then  
11 potentially further evidence on a couple of points  
12 as I described on Tuesday, by Mr. Brownlee at the  
13 end of the day.

14 If the court reporter could  
15 please affirm the witness.

16 JUSTICE WILTON-SIEGEL: Is it  
17 the case we still cannot hear Mr. Karim?

18 MS. LAWRENCE: I wonder if we  
19 should, Commissioner, take a few --

20 JUSTICE WILTON-SIEGEL: Let's  
21 just go off-line for a few minutes, Mr. Registrar.

22 --- Recess taken at 9:36 a.m.

23 --- Upon resuming at 9:37 a.m.

24 MR. LEWIS: We're back. I  
25 understand Mr. Karim has dealt with the sound

1 problem so I think, Court Reporter, if we could do  
2 the affirmation.

3 AFFIRMED: DEWAN KARIM;

4 EXAMINATION BY MR. CHEN:

5 MR. CHEN: May I proceed,  
6 Mr. Commissioner?

7 JUSTICE WILTON-SIEGEL: Yes,  
8 please do.

9 BY MR. CHEN:

10 Q. Mr. Karim, before we get  
11 started, obviously it's not a court proceeding,  
12 but would you please confirm that you understand  
13 that as an expert witness you are to provide  
14 evidence that is fair, objective, and  
15 non-partisan?

16 A. I understand, yes.

17 Q. Thank you. And I  
18 understand you have hard copies of expert report  
19 in front of you; is that right?

20 A. That's correct.

21 Q. I should note you had  
22 mentioned that you have hard copies in front of  
23 you because you have an eye condition with respect  
24 to staring at the screen for too long?

25 A. That's correct. That's

1 why I prefer to look at the actual report instead  
2 of looking at the screen for too long.

3 Q. Thank you.

4 Mr. Registrar, could we pull up HAM64759 which  
5 should be Mr. Karim's report. Go to the next  
6 image. Mr. Karim, this is your report?

7 A. Yes.

8 Q. And you authored the  
9 report?

10 A. Yes.

11 Q. And you adopt the  
12 opinions that are made in this report?

13 A. Yes.

14 Q. One housekeeping matter.  
15 I understand there is a correction to footnote 51.  
16 And, Mr. Registrar, that's on image 28. If we can  
17 call out footnote 51 at the bottom.

18 So, Mr. Karim, what's the  
19 correction to this footnote?

20 A. The way it reads, it  
21 should be the ramp is actually included in traffic  
22 signal and stop sign is included. Everything else  
23 is still the same.

24 Q. So just to be clear, this  
25 footnote is supposed to indicate how you filter

1 collision data, which we will get into later in  
2 your examination, but you did not use a couple of  
3 the filters identified here which are the ramp  
4 collisions, stop sign and traffic signal; is that  
5 right?

6 A. That's correct.

7 Q. Thank you. So as I say,  
8 the filtering is relevant to the collision rate so  
9 the plan is to return to the relevance of that at  
10 the appropriate time.

11 JUSTICE WILTON-SIEGEL:

12 Mr. Chen, just so I understand, so what was  
13 excluded were non-reportable collisions and  
14 intersection collisions; is that correct?

15 THE WITNESS: That's correct.

16 JUSTICE WILTON-SIEGEL: Going  
17 at it directly rather than if you like the  
18 indirect way or the backhand way that was just  
19 presented?

20 THE WITNESS: That's correct.

21 The --

22 JUSTICE WILTON-SIEGEL: The  
23 other way I can stop the footnote after the words  
24 intersection collisions?

25 THE WITNESS: That's correct.



1 JUSTICE WILTON-SIEGEL: Yes?

2 THE WITNESS: Yes.

3 BY MR. CHEN:

4 Q. And then one other point,  
5 Mr. Karim, I understand, if we can go to image 31,  
6 figure 3. And please correct me if I'm wrong, but  
7 I understand you had intended on including a table  
8 that removed a particular filter from the data  
9 that you used such that there is a very similar --  
10 a very similar figure that shows SMV and rear end  
11 collisions?

12 A. That's correct.

13 Q. And we'll come to that as  
14 well because the discussion is -- take a bit of  
15 time I assume. Okay.

16 So I would like to start now  
17 by going through your qualifications, and your CV  
18 starts at image 37, Mr. Registrar. And your CV of  
19 course goes on for a number of pages. Mr. Karim,  
20 does this CV accurately state your qualifications?

21 A. Yes.

22 Q. And, Mr. Commissioner, I  
23 plan only to highlight certain items. Of course  
24 there's a number of examples of his competencies.

25 Mr. Karim, you have a master

1 of engineering with a specialty in infrastructure  
2 planning from the University of Tokyo in Japan?

3 A. That's correct.

4 Q. You obtained that in  
5 2000?

6 A. That's correct, yes.

7 Q. You also have a master's  
8 of applied science with specialty in civil  
9 engineering from Ryerson University?

10 A. That's correct.

11 Q. And that was obtained in  
12 2006?

13 A. That's correct.

14 Q. You're a professional  
15 engineer of Ontario as of 2008?

16 A. That's correct.

17 Q. And you also hold the  
18 professional engineering designation in British  
19 Columbia, Nova Scotia and Alberta?

20 A. Yes.

21 Q. You are certified as a  
22 professional traffic operation engineer; is that  
23 right?

24 A. That's correct.

25 Q. Can you tell us what a

1 professional traffic operation engineer is?

2 A. Professional traffic  
3 engineer is a special certification that you have  
4 to go through a very long and difficult exam to  
5 qualify for and to become an expert on traffic  
6 operations, traffic safety, traffic maintenance,  
7 which is very different than the typical civil  
8 engineering expertise. It's an additional  
9 expertise that is recognized by this  
10 certification. And it's very similar to the Red  
11 Hill operation that we'll be talking today.

12 Q. Thank you. Turning to  
13 your employment history. If we can go to  
14 image 42, Mr. Registrar. In 2006 you worked at  
15 the IBI Group; correct?

16 A. Yes.

17 Q. What is the IBI Group?

18 A. It's an engineering  
19 consulting firm.

20 Q. And what was your role  
21 there?

22 A. I worked on traffic  
23 impact study as a result of development. Also  
24 worked on a number of transportation master plan  
25 which follows the environmental assessment

1 process.

2 Q. And maybe you can just  
3 briefly describe what a transportation master plan  
4 is.

5 A. Transportation master  
6 plan essentially looks at a very long range need  
7 for transportation facilities over time for a  
8 certain area or an entire city, and you take a  
9 look at the future growth of the city and  
10 increased demand will be generating an additional  
11 demand for transportation infrastructures. And  
12 the plan lays out those details, including the  
13 details of the roads and alignments or different  
14 kind of infrastructure like transit, walking,  
15 cycling, all types of infrastructure for longer  
16 term needs for a city or an area.

17 Q. And I think you had  
18 indicated that they follow the environmental  
19 assessment process?

20 A. That's correct.

21 Q. And maybe briefly, what  
22 are environmental assessments?

23 A. So environmental  
24 assessments is -- usually it looks at the plan and  
25 policies and programs of the cities or province or

1 other regulation and act in terms of the built  
2 environment, the natural environment, and their  
3 impact because of certain projects, which will be  
4 evaluated through the process. Master planning  
5 process, typically one refers to phases of the  
6 environmental process that it covers. Phase 3  
7 and 4 are more detailed of those specific road  
8 alignment and phase 5 is detailed plans.

9                                   So phase 3 to 5 are not  
10 usually included in the transportation master plan  
11 process. And I have worked on large environmental  
12 projects like -- Eglinton LRT or IO 407, or --  
13 there are several arterial, large arterial roads  
14 in Ontario and different places.

15                                   Q. Thank you. We can now go  
16 to images 40 and 41. If we can have the -- I  
17 think what we're showing right now is 41 on the  
18 left side and 40 on the right side. If we could  
19 invert that because it's easier to see. It's  
20 still showing up like that, Mr. Registrar, but  
21 that's fine.

22                                   On the right -- the page on  
23 the right side you'll see the City of Oshawa where  
24 you were employed as of 2009 in the role of a  
25 senior transportation planning engineer. Could

1 you describe that role, Mr. Karim.

2 A. It is a similar process  
3 or the type of the work I did in IBI Group, but  
4 specifically for City of Oshawa projects, for  
5 example, Highway 407 extension in Oshawa and the  
6 interchanges in Oshawa. I also worked on several  
7 other environmental assessment studies like  
8 Lakeshore east GO train expansion and a lot of  
9 arterials within the city that went through the  
10 environmental assessment process including the  
11 phase 3 to 5 of those other phases of the  
12 environmental assessment stages.

13 Q. If we can pull up images  
14 39 first and then 40. I've skipped over one of  
15 your other -- the experience following Oshawa  
16 which I understand is another engineering  
17 consulting firm?

18 A. That's correct.

19 Q. But here you moved to the  
20 City of Toronto in 2013 in the transportation  
21 planning department. Was that a similar role to  
22 the City of Oshawa?

23 A. It's pretty similar role.  
24 It's just senior role in terms of position.

25 Q. And I take it the

1 projects would have been City of Toronto focused?

2 A. That's correct.

3 Q. Do you have any examples?

4 A. There are still a lot of  
5 highway and environmental assessment process that  
6 I have to work on as a lead reviewer, and  
7 coordinating with other department and reporting  
8 to the council. As an example, 401 highway  
9 interchanges were going through a lot of  
10 renovations and reconstruction. I was the lead of  
11 that process to work with the ministry of  
12 transportation. I also worked on Yonge Street,  
13 one of the largest environmental assessment  
14 process in the northern part of the city.

15 Q. Okay. Thank you. The  
16 first bullet for the City of Toronto experiences  
17 develop evidence-based safety Vision Zero approach  
18 for community planning. What's Vision Zero?

19 A. Vision Zero, it's  
20 essentially a new way to look at safety instead of  
21 just using guidelines and standards, which does  
22 not give a proper assessment in terms of how the  
23 way road perform and function when you look at the  
24 safety perspective. So it gives you different  
25 kind of perspective and analysis tools to reduce

1 the number of fatal collision and serious inquiry  
2 to zero. That's the target of the Vision Zero and  
3 that's why it's called as Vision Zero.

4 Q. And I think you said  
5 analysis tools; is that right?

6 A. That's correct. So it's  
7 a lot of analysis. The new approach came out in  
8 last ten or 15 years. That's one of the major  
9 change in the industry, to look at road safety or  
10 user safety and from different perspective.

11 Q. And perhaps you can just  
12 explain to us what your role with Vision Zero was?

13 A. I was involved on that  
14 process as part of the planning department  
15 contribution to the overall Vision Zero  
16 initiatives that started earlier before it becomes  
17 an actual program. I think in the last five years  
18 it becomes an actual department, but before that  
19 it was a process and changes and standards, and  
20 the safety assessment process has been going  
21 through a major approach and perspective -- a  
22 different perspective bringing into the  
23 transportation safety to improve safety of all  
24 users.

25 So it started very early, not



1 with a specific program, but later it become a  
2 specific program and becomes a City special  
3 department. So I was involved in the earlier  
4 part, in initial part of the program.

5 Q. Just jumping ahead,  
6 30 Forensic Engineering, or short for 30FE, which  
7 is on image 39 on the screen on the left side.  
8 30FE is an engineering consulting firm?

9 A. That's correct.

10 Q. And you are the practice  
11 lead in transportation safety?

12 A. Yes.

13 Q. And can you talk a little  
14 bits about the focus of the transportation safety  
15 group?

16 A. So in 30FE we worked on  
17 the post-collision incident, if it happened, or  
18 pre-incident when somebody is looking for reveal  
19 their facility in terms of safety improvements and  
20 other implementations to be made. When an  
21 incident happened we reviewed the design of the  
22 roadway operations, the roadway, and trying to  
23 figure out whether the geometric design or  
24 operational features contributed to certain  
25 collisions or not. We also review several private

1 and public entities when there is a litigation  
2 process or in general if anyone is looking for  
3 safety review of their systems or problems.

4 Q. If we could now pull up  
5 images 37 and 38. So I just want to ask you about  
6 a couple of the items under specialized proposal  
7 competencies, which is on the image 37 on the left  
8 side. There's obviously quite a bit of them  
9 related to transportation engineering, operations  
10 and safety.

11 The third bullet, assessment  
12 of traffic safety using local standards, manual  
13 and guidelines. Could you describe how that has  
14 arisen in your work.

15 A. So almost a daily basis  
16 we have to use the professional standards,  
17 guidelines, documents, special white paper or best  
18 practice documents to understand the local,  
19 provincial, and the federal level changes or  
20 recommendation and how it's been done using those  
21 guidelines which provides the details.

22 As an example, MTO design  
23 guideline or Transportation Association of Canada  
24 guideline provides details how the roads will be  
25 designed, operated, and it could be reviewed using

1 those documents.

2 Q. And the Transportation  
3 Association of Canada, that's the TAC guidelines  
4 that we've heard of in --

5 A. That's correct, yes.

6 Q. And the bullet under  
7 that, the fourth bullet area, safety studies for  
8 intersections, street segments and other roadway  
9 locations, how does that arise in your work?

10 A. So we use the guideline I  
11 just mentioned to understand what is the  
12 intersection design process or requirements as  
13 part of those guideline. We compare those  
14 information with the data collected from the  
15 actual site and compare whether they are in  
16 compliance of those standards or not, and if it's  
17 different, why it's different. And we try to look  
18 at the causes of the collisions. Or in other way,  
19 if somebody is looking for review, we look at the  
20 countermeasures to -- when we identify any safety  
21 issues to recommend those countermeasures.

22 Q. And so now looking at  
23 image 38, just going down the list, the second  
24 bullet from the top, visibility and safety  
25 assessment for road curvature, vertical crest on

1 roads and highways, can you talk a little bit  
2 about that?

3 A. Yes. So visibility or  
4 other safety assessment for example, in terms of  
5 horizontal curvature or vertical crest to  
6 superelevation, because of other obstruction the  
7 drivers' visibility on the roadway or highway  
8 could be obstructed. And we take a look at those  
9 restrictions or deficiency if it exist, and  
10 compare with the guidelines to understand whether  
11 at a certain location visibility is restricted or  
12 not because of the geometric features and so on.

13 Q. Are there any examples of  
14 city highways where you've done that type of work?

15 A. Yeah. So we have done a  
16 lot of visibility and safety assessment for  
17 Highway 401, Highway 407, other provincial  
18 highways, a lot city arterial and collector and  
19 local roads.

20 Q. And the last one I'll ask  
21 you about your professional competencies is near  
22 the bottom of image 38, standard of care of design  
23 construction related safety assessment. Maybe  
24 talk a bit about that.

25 A. Yes. So essentially

1 standard of care means what are the regulations in  
2 place in some location and what are the best  
3 practices or recommended guidelines and standards  
4 could apply. These are the combination of the  
5 sources, usually considered the standard of care.  
6 We take a look at those different locations,  
7 whether it's regions, intersections, roadway  
8 segments. In different location the standard of  
9 care or the sources of the standard of care is  
10 slightly different.

11 So we compare those with the  
12 current location that we are working with and try  
13 to understand what would be the best way to  
14 describe the standard of care of certain locations  
15 or certain types of facilities.

16 Q. If we could go to  
17 image 45, professional courses. I understand you  
18 teach as part of an organization called EPIC; is  
19 that right?

20 A. That's correct.

21 Q. What is EPIC?

22 A. EPIC provides engineering  
23 and technical training and process for  
24 professionals mainly across Canada. It could be  
25 public agency stuff or consulting firm, and over

1 the period of last five years I provided specific  
2 topics like road design, road planning, traffic  
3 coming, there are different topics that I provide,  
4 including Vision Zero courses, to the  
5 professionals, either in private or public  
6 consulting firm that they are looking for  
7 additional knowledge or upgrading their knowledge.

8 Q. I would like to turn now  
9 to your expert report and your opinions.

10 Mr. Commissioner, for the next  
11 little while I intend to go through Mr. Karim's  
12 report focusing on key parts as his report is  
13 relatively thorough, as well as his responses to  
14 points made by Mr. Brownlee in his report and of  
15 course it is evidence so far.

16 So section 3.1, which is at  
17 image 7.

18 A. Yes.

19 Q. That sets out your  
20 mandate and the issues that were approved by  
21 Mr. Commissioner back in I think December. And it  
22 talks about the intended use of geometric  
23 guidelines, expectancy violations raised by  
24 Mr. Brownlee, interpretation of collision data,  
25 and conclusions drawn from that data as well as

1 collision trends and ranking of potential  
2 contributory factors to wet road crashes.

3 Let's start with the use of  
4 geometric guidelines. If we can go to image 9.  
5 8 and 9. My apologies, Mr. Registrar.

6 So you have section 3.4.1 on  
7 the general use of geometric guidelines that I'm  
8 not going to ask you to repeat everything. And  
9 the benefit of testifying later in the inquiry is  
10 a lot of these concepts and materials have been  
11 raised already. But perhaps very briefly, what  
12 are geometric design guidelines?

13 A. Geometric design  
14 guidelines refer to the visible features of a  
15 roadway or highway, and this, as you mentioned, it  
16 could be travel lane, it could be shoulder,  
17 horizontal curvature of particular alignment,  
18 slope, channelize (ph) traffic intersections and  
19 so on. And as an example, it will be  
20 applicable -- those features will be applicable  
21 to -- as an example to Red Hill Valley using as an  
22 example MTO design guidelines or TAC guidelines.

23 Q. And so the MTO geometric  
24 design guideline is what was used for the Red Hill  
25 Valley Parkway, right?

1 A. That's my understanding.

2 That's correct.

3 Q. What is the difference  
4 between a guideline and a standard?

5 A. Essentially guidelines  
6 are the recommendations. It may vary under  
7 certain local conditions and local context or  
8 circumstances. For an example, if there is a  
9 curvature that needs to be considered at certain  
10 location because of the nature features or built  
11 environment, the curvature, instead of straight  
12 line we would look at to use certain types or  
13 geometric values of curvature in certain  
14 locations.

15 Standards are more  
16 restricting. In terms of application it is less  
17 flexible and it's not all of the items of  
18 geometric features are standards. There are a few  
19 of them are standards which the variation --  
20 greater variation of standards may cause more  
21 severe safety consequences, and that's the reason  
22 standards are more precise and more restricted  
23 compares to the recommendation in the guideline.

24 Q. So one point that came up  
25 during Mr. Brownlee's evidence on Friday was the



1 distinction between standards and guidelines and  
2 whether one is more rigid than another, as I  
3 understand it. And I think he disagrees with that  
4 and he says that both standards and guidelines are  
5 good industry practice. What is your view on  
6 that?

7 A. I think there's slight  
8 misinterpretation what I have written in the  
9 report. I agree that both standards and  
10 guidelines are the best practices in the industry  
11 to use both. For the standards it is relatively  
12 rigid and the variation is small, variation that  
13 could be used, whereas the guideline has a longer  
14 and wider range of values depending on different  
15 conditions and local constraints. So that's  
16 mainly the difference that I was trying to explain  
17 my report.

18 Q. Thank you. And for the  
19 purposes of your report you're only dealing with  
20 guidelines and in particular a focus on the MTO  
21 design guideline, right?

22 A. Most of the cases that's  
23 correct.

24 JUSTICE WILTON-SIEGEL: Can I  
25 ask whether this interesting term, the logical

1 discussion, has any relevance?

2 THE WITNESS: In the case of  
3 if there is a variation in the local conditions or  
4 constraints?

5 JUSTICE WILTON-SIEGEL: No.  
6 Any relevance to the inquiry.

7 THE WITNESS: Yes, it is  
8 relevant.

9 JUSTICE WILTON-SIEGEL: Where  
10 is it relevant?

11 THE WITNESS: For example, the  
12 standards, I give an example like guardrail height  
13 is more rigid, so it's -- if --

14 JUSTICE WILTON-SIEGEL: No,  
15 you've misunderstood me. Sorry. And perhaps I  
16 can best explain by saying I don't think the words  
17 "guardrail height" have made an appearance in this  
18 inquiry as a matter of any concern. So what I'm  
19 asking specifically is, is there any significance  
20 to any issue which has been raised in this inquiry  
21 with respect to the Red Hill Valley Parkway to  
22 this distinction between guidelines and standards.

23 MR. CHEN: Mr. Commissioner,  
24 perhaps I can offer --

25 JUSTICE WILTON-SIEGEL: I

1 would be happy to have your assistance.

2 MR. CHEN: I understand that  
3 the section on the distinction between a guideline  
4 and a standard is really just to emphasize the  
5 purpose and use of a guideline rather than saying  
6 that there is a specific relevance to a standard  
7 and that we should be looking at a particular  
8 standard, but kind of underscore or highlight what  
9 the purpose of a guidance is.

10 THE WITNESS: I can elaborate  
11 if I may.

12 JUSTICE WILTON-SIEGEL: By all  
13 means.

14 THE WITNESS: So the relevance  
15 of this, as I have been going through the  
16 documents and especially Mr. Brownlee's report, it  
17 refers a number of times that meeting certain  
18 threshold or value it is -- results in compliance,  
19 but the guidelines, as I mentioned earlier, gives  
20 you a certain conditions that if this is the  
21 condition this would be applied, if this is the  
22 condition the other things could be applied. So  
23 in that context, the guidelines are more flexible  
24 depending on the local constraint. Those are not  
25 standards, so if it didn't met certain threshold

1 it doesn't mean that it becomes -- the roadway  
2 becomes unsafe.

3 So that's the distinction, the  
4 reason that we're discussing why recommendations  
5 from the guidelines has a flexibility; if it  
6 doesn't match certain values it doesn't mean that  
7 it becomes -- the roadway becomes unsafe.

8 JUSTICE WILTON-SIEGEL: I  
9 think that that's understood whether we're talking  
10 about deviation, if deviation is the right word,  
11 the exercise of discretion in the design process,  
12 whether that relates to standards or guidelines.  
13 There's no absolute concept of safety or unsafety  
14 based on whether the guideline or standards have  
15 been met in all circumstances. Put another way,  
16 if deviated that's the start of the discussion or  
17 analysis, not the end of it?

18 THE WITNESS: That's correct,  
19 Mr. Commissioner.

20 JUSTICE WILTON-SIEGEL: So I  
21 don't know if, Mr. Chen, whether that would help  
22 in terms of focussing, even narrowing, some of the  
23 examination, but I have a sense that this whole  
24 area of design standards and guidelines and  
25 deviations and consequences are pretty well

1 understood at this point.

2 MR. CHEN: Absolutely.

3 Perhaps I'll ask one or two other questions just  
4 in response to some of the things that  
5 Mr. Brownlee has said and then we can move on from  
6 the topic.

7 BY MR. CHEN:

8 Q. Mr. Karim, under the  
9 heading 3.4.2, process of design, design  
10 exceptions or design deviations. Just in the  
11 first sentence there you refer to design  
12 exceptions or deviations as being encouraged by  
13 the industry's professional documents, and  
14 Mr. Brownlee I believe has indicated that it's a  
15 stretch to use the word encourage. What is your  
16 view on that?

17 A. I think you have to read  
18 the few lines together in the report the way it is  
19 written. When I referred to encouragement, the  
20 previous sentence obviously describes the  
21 flexibility of the guideline meeting with natural  
22 human-made or other of constraint in the area that  
23 you are working on. So in the guidelines clearly  
24 indicated that it should be applied and in some  
25 cases even clearly indicated that those are

1 encouraged to reduce the negative impact on the  
2 existing environment.

3 So that's the interpretation  
4 of the encouragement is not literally that  
5 somebody is suggesting to deviate drastically from  
6 the recommended ranges of certain values of  
7 geometric features.

8 Q. And if we can go to  
9 image 10, Mr. Registrar. If we can call out the  
10 paragraph that starts with "once the reason for a  
11 deviation is documented."

12 Just looking at this, fifth  
13 line down it starts with a few geometric design  
14 decisions. So then you go on to say a few key  
15 geometric design decisions such as design speed of  
16 100 kilometres which is slightly different than  
17 provincial highways.

18 So Mr. Brownlee disagrees with  
19 your comment there that 100 per kilometre design  
20 speed is slightly different than provincial  
21 highways as I understand it. What do you say to  
22 that?

23 A. I looked at that comment  
24 and also the difference between provincial  
25 highway, which I'm referring mainly the 400 series

1 which is very comparable or near to the operations  
2 and features in the Red Hill Valley Parkway. So  
3 typically on those highway design speed could be  
4 110 across the province.

5                                   As I understand, the Red Hill  
6 Valley used 100 kilometres per hour as a design  
7 speed. So 10 kilometre difference is not  
8 drastically different or significantly different.  
9 That's what I was trying to explain here. It's  
10 slightly different. I could have used other  
11 words, but I think the important point is it's not  
12 a significant difference between the two design  
13 speed as an example.

14                                   Q. I think we can move on to  
15 your discussion on design speed which starts at  
16 image 13 under the heading numbered 4.2.1.

17                                   So this again, Mr. Karim,  
18 design speed, we've heard about it from a number  
19 of people but perhaps just give us a quick  
20 definition of design speed.

21                                   A. Design speed essentially  
22 is a speed that a designer adopts to use it for  
23 selection of certain geometric features and values  
24 at certain location, and those are used -- the  
25 design speed influences those features obviously.

1 That's one of the reason that it's selected. For  
2 example, in urban area freeways design speed  
3 ranges recommendation from MTO is 80 to  
4 120 kilometre. When a design speed certain  
5 location is adopted it is normally 10 or  
6 20 kilometres higher than the posted limit would  
7 be used on the highway at the end of the process.

8 So it is heavily influential  
9 starting point of a design process. When it gets  
10 to the operation it takes a backseat. It is an  
11 important information all the time, but that's how  
12 we use the design speed and the meaning of the  
13 design speed.

14 Q. Okay. So I think that's  
15 a good jumping off point to section 4.2.3, image  
16 15. In this particular section you respond to  
17 what Mr. Brownlee has said and you've excerpted  
18 that paragraph just in the middle there, had CIMA  
19 been advised of the actual design speed of  
20 100 kilometres per hour on the RHVP they would  
21 have identified significant disparities between  
22 the posted design and operating speed and  
23 potentially adjusted their scope of assumptions  
24 and range/immediacy of potential remedial actions.  
25 And you have a fairly detailed discussion that



1 follows that, but what's your opinion on that  
2 statement?

3 A. I looked at that  
4 statement. I think the points that I disagree  
5 with some certain obviously reasons. One of the  
6 reasons is the TNS statement says that certain  
7 assumptions of remedial actions would be different  
8 if the actual design speed is known.

9 As I explained in the report  
10 that CIMA analysis would not have changed for  
11 certain analysis, that some of it is influenced by  
12 the design speeds but most of it is not. An  
13 example would be some of the features that is not  
14 influenced by the design speed, for example, lane  
15 width, shoulder, clearance, median, those are not  
16 heavily influenced by design speed so it's not  
17 going to change. Some other features for example  
18 of --

19 JUSTICE WILTON-SIEGEL: Can I  
20 just get you to enumerate those a little bit more  
21 slowly. Lane width, shoulder.

22 THE WITNESS: Shoulder, clear  
23 zone, median, those are like column features,  
24 geometric design features.

25 THE COURT: Clear zone median.

1 THE WITNESS: Clear zone and  
2 median.

3 JUSTICE WILTON-SIEGEL: Oh,  
4 and median.

5 THE WITNESS: Yes.

6 JUSTICE WILTON-SIEGEL: Would  
7 not change.

8 THE WITNESS: Would not change  
9 between the two design speed. Essentially when I  
10 looked at several guideline all design speed for  
11 100 and 110 they are essentially same or similar.

12 The other features that has an  
13 influence more directly, for example, curvature,  
14 vertical hill, superelevation, those are all  
15 already built. If any engineer is assessing those  
16 items we would go and measure and recommend based  
17 on what is already built. So design speed is  
18 important to understand, but because it's already  
19 built we would be recommending -- any engineer  
20 would be recommending what is built.

21 The other items we probably  
22 will discuss later on. I will just mention that  
23 the speed and analysis example, design speed is  
24 not really important, although is -- but for sight  
25 distance design is important.

1 JUSTICE WILTON-SIEGEL: Design  
2 speed is important for what?

3 THE WITNESS: For sight  
4 distance or visibility.

5 JUSTICE WILTON-SIEGEL: Sight  
6 distance, yes.

7 MR. CHEN: Mr. Commissioner,  
8 do you have a further --

9 JUSTICE WILTON-SIEGEL: No,  
10 that's fine. Go ahead.

11 BY MR. CHEN:

12 Q. Mr. Karim, you had also  
13 mentioned in your previous response that I think  
14 design speed is not really important for a speed  
15 analysis; is that right?

16 A. As I say, speed analysis  
17 you could perform without knowing the design  
18 speed. We call it speed category, meaning you  
19 have a posted speed limit and we know the design  
20 speed is 10 or 20 kilometre higher. So that speed  
21 category, 90, 100, 110, you could perform a speed  
22 analysis without the need for design speed because  
23 10 and 20 kilometre automatically covers design  
24 speed concept.

25 Q. And then when you say

1 speed analysis what does that mean?

2 A. It's review of the  
3 operational speed or existing speed in certain  
4 highways. For example, in Red Hill Valley, if you  
5 are reviewing speed profiles, which is essentially  
6 the speed of the vehicles that pass through a  
7 certain location, you collect those data, you  
8 compare with the posted speed limit and then 10 or  
9 20 kilometre higher or above the posted speed  
10 limit, and you find a certain percent of exceeding  
11 certain speed category, and if it's too many  
12 people are exceeding 10 or 20 kilometre higher  
13 that is the tolerance range in terms of  
14 enforcement, then as an engineer we would  
15 recommend to take certain actions. For example,  
16 we would recommend to reduce posted speed limit  
17 because it's excessing number of people are  
18 exceeding or above 10 or 20 kilometre higher than  
19 the posted speed limit.

20 So you could do the safety  
21 analysis of speed without knowing that exact  
22 design speed. The speed category is more  
23 important, and speed category automatically  
24 includes design speed 10 or 20 kilometre higher  
25 than the posted speed limit.

1 Q. And have you done that  
2 type of analysis in your career?

3 A. Yes, I have done lots of  
4 cases for speed review of certain corridors. I  
5 have not used design speed; I always use the speed  
6 category as a process and theory that is suggested  
7 by the highway safety manual, and those 10 or  
8 20 kilometre higher than the posted speed limit  
9 automatically captures the design speed of certain  
10 location.

11 We also have to keep in mind  
12 most of the road are built before the design speed  
13 concept came over. Most of the road in Ontario or  
14 similar places we don't know when it's built and  
15 what is the design speed of those roads or  
16 highway. So in that case only options for  
17 engineer is to go by the prescribed 10 or 20  
18 kilometre higher than the posted speed and that's  
19 typically the speed analysis is performed.

20 Q. Now, I want to turn to  
21 your response to Mr. Brownlee's comments on speed  
22 and motorist expectations, which is the second  
23 comment you respond to. And that's jumping ahead  
24 in Mr. Karim's report to image 23 and -- 22  
25 and 23, under the heading 4.4.1 design speed.

1                   So the TNS conclusion or  
2 Mr. Brownlee's conclusion is set out at the bottom  
3 of image 22, and perhaps you can just describe  
4 your understanding of what Mr. Brownlee saying  
5 with respect to design speed and expectations.

6                   A.    As I'm reading --  
7 actually I'll read from the report. It says the  
8 roadway is your prior expectation of acceptable  
9 operating speed based on observation of experience  
10 on driving on a range of freeway including  
11 400 series.

12                   So I think he's referring to  
13 the provincial 400 series are generally design  
14 20 kilometre or more above posted speed limit as  
15 we explained or discussed earlier. He is probably  
16 referencing to 100 kilometres posted and design  
17 speed is 120 or 90 posted, 110 design speed, that  
18 situation. Specifically freeway [indiscernible]  
19 reflect the minimum design speed of 100 on a  
20 control access freeway facility would be  
21 expectancy violation to some road users,  
22 notwithstanding the 90 kilometre posted speed  
23 limit.

24                   I understand from his  
25 description he's comparing the Red Hill Valley

1 design speed compared to the highway 400 series  
2 and he's referring that using a design speed would  
3 be an expectancy violation on the Red Hill Valley  
4 Parkway even though it's posted 90 kilometres per  
5 hour. That's my understanding. I can explain  
6 what my response to that.

7 Q. Please, go ahead.

8 A. So as I read it, it's  
9 slightly different than my understanding of the  
10 design speed between the two facilities. The  
11 reason I do not agree with his statements is  
12 motorist expectations, which is usually refers to  
13 the condition of the roadway and how it is  
14 communicated to the drivers. For example, the  
15 communication is usually done posted speed limit  
16 is an example. The warning signs, curvature, exit  
17 signs, ramp signs and other type of sign.  
18 Pavement marking. Those are the communication  
19 process.

20 So once we move from  
21 provincial highway to any other highway or city  
22 streets, that communication process is already  
23 installed and given to the driver and the driver  
24 would adjust their driving condition and  
25 operations based on the information that's given

1 to them. So it would not be violated -- it would  
2 be violated if you didn't provide all those  
3 informations to the driver. That's not the case  
4 in Red Hill.

5 So it's a different types of  
6 facility that if the proper information is  
7 provided, expectation would be driver adjust their  
8 operating speed or their behaviour under different  
9 highways. And that's why it's not actually  
10 violating anything drastically. Between the two  
11 facilities the changes are also not significant,  
12 but whatever is changed, it has been informed  
13 through those communication process.

14 Q. On image 23, that's where  
15 you set out three bullets for your disagreements.  
16 Can you talk about the last one, the refers the  
17 whom factor else analysis?

18 A. So essentially what I'm  
19 referring here, the driver expectation refers to  
20 the human behaviour under different conditions,  
21 and to understand that different facilities,  
22 different driver behaviour you have to perform an  
23 human factor analysis. That was not provided, so  
24 I was not sure the comment made in the TNS report  
25 was based on human factors analysis and not --



1 since it didn't explain those behaviour changes or  
2 expectancy which is under the realm of human  
3 factor expertise.

4 JUSTICE WILTON-SIEGEL: Are  
5 you saying that in order to make the statement  
6 that Mr. Brownlee did he had to conduct a human  
7 factors analysis?

8 THE WITNESS: That's the  
9 typical process of driver behaviour analysis,  
10 that's correct, Mr. Commissioner.

11 BY MR. CHEN:

12 Q. And just so I'm clear, to  
13 determine if that actually affects the driver or  
14 that's the mindset or expectation of a driver?

15 A. That's correct. So  
16 expectation of [indiscernible] is typically  
17 referring to the driver behaviour, which is a  
18 human factors expert, a different process that I'm  
19 not expert on that, would take care of the changes  
20 in the driver behaviour or expectancy of the  
21 drivers.

22 Q. Okay. And so I think  
23 that's it for design speed. The other geometric  
24 type criteria that you respond to is with respect  
25 to interchange spacing, and that starts -- I

1 believe it's 4.3 which is at image 16. And again  
2 we have the benefit of prior evidence on the  
3 definition, but if you could just for context tell  
4 us what interchange spacing is briefly.

5 A. Interchange spacing is  
6 the distance between the centre line of the cross  
7 road where the interchange is located along the  
8 highway.

9 Q. And if we can pull up  
10 image 17 which has figure 1. And interchange  
11 spacing is in figure 1 the top diagram; is that  
12 right?

13 A. That's correct.

14 Q. And what about the bottom  
15 diagram?

16 A. The bottom diagram is  
17 showing important element and a component of the  
18 interchange spacing, what we call it ramp spacing.  
19 It's essentially between the two on ramp and off  
20 ramp -- the distance between the two on and off  
21 ramp which is in successive order.

22 Q. So, Mr. Karim, there's  
23 agreement between you and Mr. Brownlee of course  
24 that the recommended interchange spacing under the  
25 design guide is 2 to 3 kilometres, though you

1 don't always -- but there are -- you can go under  
2 it for various reasons. You do make reference in  
3 your report other guidelines regarding interchange  
4 spacing distance. Could you describe those?

5 A. Yes. So I think you're  
6 referring to MTO design guideline, yes, that's  
7 what we are referring 2 to 3 kilometre or  
8 conditions under the 2 kilometre.

9 The other reference, it is  
10 actually a source document of MTO recommendation  
11 come from the original research and guidelines  
12 that published in the USA, which looks at the  
13 actual research of interchange spacing based on  
14 the local arterial network spacing. It's 1 mile,  
15 it's roughly 1.5 kilometre. I also looked at the  
16 other research, it looked -- it collected all the  
17 information from various countries and interchange  
18 spacing practice and they concluded that the  
19 interchange spacing generally falls between 1 to  
20 2 kilometre ranges in urban area, especially where  
21 the land use next to highway is the denser or  
22 urban in nature.

23 Q. And just for the record,  
24 it's at image 19, Mr. Registrar, if you can just  
25 quickly turn to that. The heading "Other

1 Guidelines Commonly Used in Canada"; is that  
2 right, Mr. Karim?

3 A. That's correct, yes.

4 Q. The reference to the 1 to  
5 2 kilometres, that's second paragraph in that  
6 section, "based on our overall review of the  
7 research study stated that interchanging spacing  
8 varies widely from 1 to 2 kilometres for urban  
9 areas," and you cite to a paper of the Federal  
10 Highway Administration?

11 A. That's correct, yes.

12 JUSTICE WILTON-SIEGEL: If I  
13 understand correctly, this is a statement of what  
14 the facts are, not what the guidelines or  
15 standards are.

16 THE WITNESS: The standards in  
17 MTO, Mr. Commissioner, you're referring to MTO  
18 design guideline?

19 JUSTICE WILTON-SIEGEL: Well,  
20 no, I'm -- if I understand your evidence, which I  
21 may not, I think you're saying that the NCHRP  
22 report accepted as a reality that in urban areas  
23 1 mile spacing will often have to be accommodated.

24 THE WITNESS: That's correct,  
25 yes.

1 JUSTICE WILTON-SIEGEL: That  
2 doesn't mean it's desirable or that it's a  
3 standard. It's just a reality given the prior  
4 placement of arterial roads.

5 THE WITNESS: That's -- yes, I  
6 would just add as a clarification that 1 mile or  
7 1.5 kilometre could be achieved other provisions  
8 that is also described in MTO design guideline  
9 which falls under the 2 kilometre, less than  
10 2 kilometre provision. So that's what they are  
11 referring here. So essentially the 2 kilometre,  
12 less than 2 kilometre recommendation that is in  
13 MTO guideline came from the NCHRP research and  
14 other research, how to obtain shoulder spacing  
15 when there are constraint situation in urban  
16 areas. So that's actually part of the guideline  
17 and it is a standard.

18 JUSTICE WILTON-SIEGEL: Okay.

19 BY MR. CHEN:

20 Q. Mr. Karim, your report  
21 goes on to talk about interchange spacing and  
22 substantive safety, which is a concept that is  
23 introduced in your report and was talked about in  
24 Mr. Brownlee's evidence. What, if any,  
25 relationship exists between those two things,

1 interchange spacing and substantive safety?

2                                   A.     So my understanding over  
3 my 25 years period and looking at all the  
4 resources and research and guidelines that there  
5 is not any definitive study or conclusions  
6 established between the interchange spacing --  
7 various interchange spacing and their direct  
8 impact and outcome in terms of collision rates, as  
9 an example, the safety measures. There are  
10 different knowledge and tools are available for  
11 the weaving area, the ramp area, which is most  
12 commonly understood as most completing area.  
13 That's available knowledge and that has been used  
14 by the industry professional regularly.

15                                   But in terms of interchange  
16 spacing, it's very hard to quantify the impact of  
17 safety because of certain interchange spacing and  
18 change in the spacing in that environment and  
19 other factors influences the interchange spacing.  
20 For example, different roadway condition, urban  
21 conditions, urban network and all those kind of  
22 factors. So including those factors into the  
23 interchange spacing, it's very hard to quantify  
24 what would be the exact outcome of certain  
25 interchange spacing. So that's the difficulty.

1 Q. Okay. And I think you  
2 touched on this in your answer. Mr. Brownlee did  
3 raise that there are ways to assess interchange  
4 safety and he talked about the ISAT. Is that  
5 something you are familiar with?

6 A. Yes. We use the tools  
7 when is needed for review of the interchange  
8 spacing, especially the configuration of the  
9 spacing, the ramps, number of ramps and partial  
10 versus full interchange spacing and the ramp  
11 spacing, those are more prominent in that tool.  
12 That tool doesn't still -- as we discussed  
13 earlier, it doesn't give you a direct relationship  
14 between the interchange spacing and the  
15 quantitative outcome of the safety.

16 Q. And why not?

17 A. As I explained, that it's  
18 very difficult to point out, including all other  
19 influencing factor, to find out whether  
20 interchange spacing at certain distance has a  
21 definite safety outcome. It is generally  
22 understood that if it's further apart obviously  
23 it's less conflict; if it's too close then it will  
24 be more conflict, but we don't know exactly how  
25 further part and how close would result in a

1 certain quantity of collision rate changes.

2 Q. And you had mentioned  
3 influencing factors. What did you mean by that?

4 A. Influencing factors  
5 meaning when an interchange is decided to install  
6 certain locations it could be that just land use  
7 needed an access from the highway. It could be a  
8 nature and manmade constraint that would restrict  
9 to install a full interchange or it could be a  
10 partial interchange. And it could be also the  
11 congestion, if it is too far apart and we are  
12 skipping an important arterial to the community,  
13 then the longer distance would result in flowing  
14 too much traffic into certain location or certain  
15 streets which will increase the congestion and  
16 that street may not have the capacity to deal with  
17 those increased traffic.

18 Q. So with the interchange  
19 spacing guidelines under the MTO design guide in  
20 mind, what's your assessment of the interchange  
21 spacing differences on the Red Hill Valley  
22 Parkway?

23 A. Yes, we have done an  
24 overall assessment of the interchange spacing  
25 distance. We found that interchange spacing



1 generally ranges from 1 to 3 kilometre and that's  
2 only one interchange spacing just below  
3 1 kilometre in Red Hill.

4 Q. And so you said 1 to  
5 3 kilometres which is below the minimum of 2. Why  
6 were the guidelines unable to be met for the ones  
7 that are under 2 kilometre?

8 A. So under 2 kilometres are  
9 mostly in the Red Hill Valley. Interchange  
10 spacing, and when we looked at the type of  
11 interchange, it is a different kind of interchange  
12 compared to for example LINC in the Red Hill. So  
13 it's most of them are either partial or different  
14 configuration of the interchange was installed on  
15 Red Hill, which is one of the recommendations from  
16 MTO to deal with the less than 2 kilometre  
17 interchange spacing situation.

18 Q. Let me just break that  
19 down a bit. Under the MTO design guide there are  
20 exceptions for interchange spacing?

21 A. I would not say  
22 exception. It has two rules. When you have full  
23 interchange providing full access to the  
24 communities they recommend 2 to 3 kilometre. When  
25 you don't have that option they recommend to allow

1 less than 2 kilometre using different  
2 configuration of interchange or partial  
3 interchange.

4 Q. So when you say different  
5 configurations and partial interchanges, do you  
6 see that on the Red Hill?

7 A. Yes, definitely. You can  
8 see most of the interchange, for example Barton,  
9 Queenston, King Street, it has full ramps. Rest  
10 of the access is provided through the traffic  
11 signal, so you have to turn left to access to the  
12 highway. Greenhill, for example, it doesn't even  
13 have the loop. It has -- obviously west side of  
14 the highway in that location is a naturally  
15 constrained area and there is no road on the west  
16 side whereas it's only provided on the east side.  
17 That's an example. So it's a different  
18 configuration completely at the Greenhill.

19 And in terms of the full  
20 interchange, if you're comparing it with the LINC,  
21 which has constantly six ramps, full interchange,  
22 full complete access, Red Hill is not exactly the  
23 same compared to the full interchange scenario.

24 Q. So you also made  
25 reference to a traffic signal. Could you

1 elaborate on that?

2                                   A. Yes. So traffic signal,  
3 sometimes it's used at the same location. Instead  
4 of using a free ramp you could provide a traffic  
5 signal. For example, on Queenston and Barton, if  
6 you're on the east side of the roadway and you try  
7 to go to the northbound you have to access through  
8 the traffic signal. If you look at in LINC or  
9 provincial 400 series, the option will be provided  
10 direct ramp from that direction to the northbound  
11 direction. That was not the case in the Red Hill.  
12 They used a traffic signal to provide an access  
13 which means that you have to wait longer and  
14 that's an indirect access provided to the certain  
15 side or certain directions to the Red Hill Valley  
16 Parkway.

17                                   Q. So is the traffic signal  
18 supposed to assist with congestion and less than  
19 2 kilometres?

20                                   A. It's part of it. So in  
21 addition to -- as we discussed, in addition to the  
22 configuration and partial interchange, the traffic  
23 signal provides or assists achieving more access  
24 but in direct way. So traffic signal is used  
25 essentially to provide an access with a limited

1 and constrained condition. That's an example.

2 JUSTICE WILTON-SIEGEL: Which  
3 intersections are we talking about in respect of  
4 the Red Hill Valley Parkway?

5 THE WITNESS: Traffic signal,  
6 I believe it is available at King Street,  
7 Queenston and Barton.

8 JUSTICE WILTON-SIEGEL: In  
9 which directions?

10 THE WITNESS: It mostly going  
11 to the northbound direction to the east of the  
12 highway. But there is one location I believe is  
13 the other side. That probably is the King Street.  
14 So I'm trying to remember the geometric. But I  
15 remember clearly that the east side traffic signal  
16 is the most common method in Queenston and Barton.

17 JUSTICE WILTON-SIEGEL: Okay.

18 BY MR. CHEN:

19 Q. Mr. Karim, at 4.3.5 of  
20 your report, which is image 20, and if we can also  
21 bring up image 21 as well. You provide a  
22 comparative analysis of interchange spacing, the  
23 RHVP and couple of other highways like the DVP,  
24 the 403, the 406 and the 7-85. Why did you  
25 undertake such an analysis?

1                   A.     When we performed the  
2 interchange spacing review of the Red Hill we --  
3 to our better understanding we've had we will look  
4 at a comparable of similar -- closely, not exactly  
5 similar, the other highways in Ontario. And in  
6 terms of land use, road network and the geometric  
7 design features, using those three characteristics  
8 we selected this highway or portion of this  
9 highway that deemed to be close or similar to the  
10 Red Hill Valley to understand what would be the  
11 situation if it's an urban environment in terms of  
12 interchange spacing.

13                   Q.     And Mr. Brownlee had said  
14 that further substantive analysis could be done,  
15 which I understand him to be referring to the  
16 standard safety issues. Do you agree with that,  
17 before I go on?

18                   A.     That's correct. The  
19 analysis we have done is very high level overall  
20 nominal safety perspective. Substantive safety  
21 tools and method will give you precise  
22 information, quantification of the safety outcome  
23 of interchange spacing design or the type of  
24 interchange spacing is used. So those would be  
25 far more detailed coming out of the substantive

1 safety approach.

2 Q. Which of the comparators  
3 would you say is most like the Red Hill?

4 A. Based on very overall  
5 review of the interchange spacing on other  
6 highways described in table 2, it appears Don  
7 Valley Parkway and Highway 7, 8 in Kitchener are  
8 very close to the similar types of interchange  
9 spacing given they are mostly urban and frequent  
10 arterial spacing exists in those two highway.

11 Q. When you say the urban,  
12 I'm just looking at the chart, it's the Don Valley  
13 Parkway and Highway 7/8 Kitchener?

14 A. That's correct, yes.

15 Q. And just looking at the  
16 RHVP row and Don Valley Parkway, under the column  
17 "average spacing," which is the second-last  
18 column. The RHVP has 1.43 kilometres and the Don  
19 Valley Parkway has 1.64. Is there any  
20 significance in terms of the difference between  
21 1.43 and 1.64?

22 A. I would say it's very  
23 similar. It's not really significantly different.

24 Q. When Mr. Brownlee was --  
25 I believe he was shown this table, he had some

1 comments about the Don Valley Parkway. He had  
2 testified that you -- if you look at the from/to  
3 column, you cut off the Don Valley Parkway at  
4 Eglinton, and of course we know the Don Valley  
5 goes further north than that. Why did you do  
6 that?

7 A. To the north of Eglinton  
8 it's essentially mostly straight line highways  
9 and -- but real spacing is much great in the  
10 suburban northern part of the Toronto, which is  
11 not the case in Red Hill. Actually south of  
12 Eglinton is more similar.

13 If you compare, the network  
14 spacing is much closer and the curvature and  
15 geometric features are much closer to the Red  
16 Hill. So the southern portion of the Don Valley  
17 is mostly similar or close or urban condition  
18 road, network condition are close to the Red Hill.  
19 That's why we focused on the southern part of the  
20 DVP.

21 Q. So you had talked about  
22 the southern part of the DVP. Mr. Brownlee also  
23 raised that the DVP and some of the southerly  
24 areas are single ramps. What do you say to that?

25 A. That's correct. As I

1 mentioned, the selection of comparable highways  
2 are mostly because of urban area at network  
3 spacing of the roads and geometric features, but  
4 there could be a difference between the two  
5 highway, and if I try to match every features,  
6 then there would be no proxy highway that I can  
7 compare.

8                               So it is different slightly in  
9 terms of the ramp configuration, but in terms of  
10 the key criteria that we select for proxy highway,  
11 those are close to the Red Hill Valley features.

12                              Q. I believe Mr. Brownlee  
13 had, in a separate discussion, talked about how  
14 you can't always get the exact comparator factors.

15                              A. That's correct.

16                              Q. Looking at Highway 403  
17 and 406, the average spacing is obviously higher.  
18 What accounts for that?

19                              A. If you look at the  
20 characteristics of 403 and 406, they are mostly  
21 either low density urban area and a longer  
22 arterial spacing. So that's one of the reasons  
23 they could achieve a longer interchange spacing.  
24 Their interchange are also very different compared  
25 to Red Hill Valley. Most of the case they have



1 full interchange. It's less of a constrained area  
2 located on those two highway, and that's my  
3 understanding, is the average spacing slightly  
4 longer than 2 kilometre could be achieved.

5 Q. Your report, and I won't  
6 take you to it, but Mr. Brownlee goes on to draw a  
7 connection between interchange spacing and  
8 motorist expectations, and he -- just to  
9 paraphrase, he states that the interchange spacing  
10 on the Red Hill results in motorists being  
11 ill-prepared to react to conflict, speed  
12 differentials, and congestion. What do you say to  
13 that?

14 A. In general if it is  
15 interchange spacing, full interchange we're  
16 talking about, that would be correct. The Red  
17 Hill Valley obviously not the similar condition  
18 that exist, so we have to recognize the designer  
19 when they choose a sudden constraint, they have to  
20 come up with a different set of configurations.

21 In this case, partial or  
22 different times of interchange they adopted to  
23 reduce the conflict area on -- or frequency of the  
24 conflict area. And any highway you cannot make  
25 absolutely safe even after trying to mitigate the

1 features that are available to the designers.

2                   So if it's a straight highway  
3 and no constraints and interchange spacing are  
4 relatively far apart, it could be -- I would agree  
5 with Mr. Brownlee, but when there is a situation  
6 close to each other that the interchange has to be  
7 installed, then other way to deal with it is you  
8 reduce the number of conflict, which will reduce  
9 the drivers' expectancy to adjust with sudden  
10 condition. And again, like the speed limit that  
11 we discussed earlier, the ramp entry point when  
12 it's coming up, it's weaving area design. All the  
13 warning signs and everything was installed to  
14 prepare the drivers going through relatively  
15 constrained area of the highway, and when I looked  
16 at that, designers of the operations of the  
17 highway, they tried their best to address the  
18 situation with all the available tools.

19                   Q. I see that it's 11:00,  
20 but I just have one or two questions on the  
21 weaving that --

22                   JUSTICE WILTON-SIEGEL: Go  
23 ahead.

24                   MR. CHEN: -- that Mr. Karim  
25 just raised.

1 JUSTICE WILTON-SIEGEL: Go  
2 ahead.

3 BY MR. CHEN:

4 Q. So -- I'm trying to  
5 locate that. You came to a conclusion, Mr. Karim,  
6 on the weaving sections on the Red Hill?

7 A. Yes, we looked at an  
8 overall ramp spacing or roving area.

9 Q. And what were your  
10 conclusions?

11 A. Our conclusion was except  
12 one location, the remaining of all the weaving  
13 location where on and off ramp are in successive  
14 order, they met the MTO's minimum recommendation,  
15 600 metres, which is MTO design guideline  
16 preferred to achieve for weaving areas. Three of  
17 them are very close to 600 metre -- sorry, two of  
18 them. One of them just around 415, I believe,  
19 near King Street.

20 Q. And in your report  
21 following that conclusion, you said:

22 "This typically indicates the  
23 most critical element of  
24 interchange spacing was  
25 considered with greater care

1 and that efforts were made to  
2 minimize weaving conflict."

3 What do you mean by that?

4 A. What I mean by that is  
5 the most conflicting areas of weaving section, as  
6 we discussed earlier, which met a greater extent  
7 the MTO's recommendation, and it is also one of  
8 the area that they paid a lot of attention to  
9 reduce the conflict. Obviously we can perform far  
10 more analysis to conclude that, but from overall  
11 point of the compliance, it looks like they tried  
12 to minimize the conflict area using different  
13 tools, which is reflected in the ramp spacing  
14 compliance situation that we described earlier.

15 Q. Are you also comparing  
16 that relative to the interchange spacing?

17 A. Yes, so I -- that's my  
18 comments, that compared to the interchange  
19 spacing, which most of the case is less than 2  
20 kilometre except one location, the ramp spacing is  
21 actually only one particular location cannot be  
22 achieved because of the constraint that are  
23 remaining was close to the MTO design recommended  
24 distance.

25 Q. So just to be clear, on

1 that last statement that you said, I think earlier  
2 you had mentioned there were three that were below  
3 the MTO minimum, three weaving sections that were  
4 below, but that two of them are very close to the  
5 600?

6 A. That's correct.

7 Q. Under but close?

8 A. Yes.

9 MR. CHEN: Mr. Commissioner, I  
10 think now would be a good time for the break,  
11 subject to any further questions.

12 JUSTICE WILTON-SIEGEL: I have  
13 just a couple of questions, and I want to make  
14 sure I've got this note right.

15 So with respect to the weaving  
16 sections, there are three below the MTO guideline  
17 of 600 metres, but only one is significantly  
18 below. That's the 420 metres near King Street.  
19 Is that correct?

20 THE WITNESS: That's correct,  
21 Mr. Commissioner.

22 JUSTICE WILTON-SIEGEL: And  
23 your comment about a lot of attention was paid.  
24 I've seen this, I know, in the report and then I  
25 didn't fully -- well, I had a big question about

1 it, and I'm going to pursue it right now. Where  
2 is that in the report?

3 MR. CHEN: It's on the screen,  
4 Mr. Commissioner, on the image 21. It should be  
5 on your right-hand side, top paragraph.

6 JUSTICE WILTON-SIEGEL: I'm  
7 having trouble figuring which is 21. It's  
8 page 18.

9 MR. CHEN: Sorry about that.

10 JUSTICE WILTON-SIEGEL: So  
11 that's a comment with respect to the weaving  
12 distances, correct.

13 THE WITNESS: That's correct.

14 JUSTICE WILTON-SIEGEL: But it  
15 says "this indicates the most critical element of  
16 interchange spacing." I see. So you're saying  
17 weaving sections being the most critical element  
18 of interchange spacing --

19 THE WITNESS: That's correct.

20 JUSTICE WILTON-SIEGEL: --  
21 considered conceptually was considered with  
22 greater care, and the efforts were made to  
23 minimize weaving conflicts. Now the -- there's  
24 nothing you can do about the distances, so what  
25 you're saying is the interchanges were designed in

1 a way to reduce weaving; is that correct?

2 THE WITNESS: I think you were  
3 referring to the maintenance spacing, you cannot  
4 do anything about it because that's where -- how  
5 they're laid out. I understand that you're  
6 referring to the ramp spacing.

7 JUSTICE WILTON-SIEGEL: Well,  
8 okay. So I'll just step back and ask what does it  
9 mean that efforts were made to minimize weaving  
10 conflicts? What are the efforts you're referring  
11 to?

12 THE WITNESS: So I'm  
13 essentially referring to, as we were discussing  
14 earlier, the Highway Safety Manual specifically  
15 gives a lot more detail and quantitative and other  
16 detailed process of weaving area, how to deal with  
17 the weaving area. As the interchange spacing and  
18 the safety relationship are not really easy to  
19 understand, but this is easier, and when you look  
20 at their interchange ramp spacing and the  
21 recommendations from the MTO guideline, except in  
22 one location where there is still a constraint,  
23 the rest of the location they were able to achieve  
24 that critical recommendation from MTO. And when  
25 we look at all the signage and paving marking of

1 that area in general, the recommendation from  
2 those guidelines, how to design and operate the  
3 weaving area follows roughly what is built and  
4 currently operating in the Red Hill Valley in  
5 those ramp spacing locations.

6 So obviously the designer has  
7 less control in terms of interchange spacing, but  
8 they have more control and options which was  
9 applied most of the case wherever possible except  
10 one exceptions for ramp spacing or weaving area.  
11 That's what I was referring here.

12 JUSTICE WILTON-SIEGEL: Are we  
13 talking about the -- I go back to just trying to  
14 understand, efforts were made to minimize weaving  
15 conflicts. Are you saying efforts were made in  
16 the form of the physical location of the ramps?

17 THE WITNESS: Yes.

18 JUSTICE WILTON-SIEGEL: Okay.  
19 So it's not just the physical location, but it's  
20 the design of the ramps?

21 THE WITNESS: The design of  
22 the ramps in combination.

23 JUSTICE WILTON-SIEGEL: In  
24 combination with signals and pavement markings --

25 THE WITNESS: Yes, in the



1 ramps, that's correct.

2 JUSTICE WILTON-SIEGEL: Would  
3 I be correct in thinking that this issue of the  
4 design of the ramps goes back to the question of  
5 how do you deal with the interchange spacing --

6 THE WITNESS: That's correct.

7 JUSTICE WILTON-SIEGEL: --  
8 which is, if I can use a colloquial term, quite  
9 tight given the existing arterial roads that have  
10 to be accommodated?

11 THE WITNESS: That's correct,  
12 yes.

13 JUSTICE WILTON-SIEGEL: It's  
14 all of a one, if you like. You're basically  
15 saying they -- by virtue of the less than 2  
16 kilometre distance in interchange spacing, they  
17 had to design the on and off ramps, the  
18 interchange itself, in a way which was designed to  
19 reduce conflicts and primarily that is why partial  
20 exchanges in those three areas; is that correct?

21 THE WITNESS: That's correct,  
22 Mr. Commissioner.

23 JUSTICE WILTON-SIEGEL: Thank  
24 you.

25 MR. CHEN: If I can ask one

1 quick clarification question, Mr. Commissioner.

2 JUSTICE WILTON-SIEGEL: Go  
3 ahead.

4 BY MR. CHEN:

5 Q. Thank you. Mr. Karim,  
6 you had mentioned the Queenston and King Street  
7 weaving section, and that was about 415 metres or  
8 420 metres. What's your view on that figure?

9 A. It's obviously much  
10 tighter than what is recommended, but it's -- as  
11 we discussed earlier, that threshold value for  
12 sudden recommendation doesn't mean that it becomes  
13 an unsafe. Obviously you can design in terms of  
14 pavement marking and the location of the ramp and  
15 the lane changes and so on, and to address the  
16 constraint situation. So you could -- even you  
17 make a lot of efforts to minimize it, as I say  
18 that there is not every location or section could  
19 be absolutely safe or same condition or same  
20 safety could have achieved.

21 So in that location, obviously  
22 there are a lot of attention paid to the weaving  
23 area and minimize the conflict and manage the  
24 expectation -- the drivers' driving expectation  
25 and their driving behaviour would be adjusted

1 accordingly. So those are made at that specific  
2 location using various tools.

3 MR. CHEN: Thank you.

4 JUSTICE WILTON-SIEGEL: It's  
5 12 past. Let's return at 25 past.

6 MR. CHEN: Thank you.

7 --- Recess taken at 11:13 a.m.

8 --- Upon resuming at 11:26 a.m.

9 MR. CHEN: May I continue,  
10 Mr. Commissioner?

11 JUSTICE WILTON-SIEGEL: Yes.

12 BY MR. CHEN:

13 Q. Mr. Karim, turning now to  
14 section 4.5 of your report, "contributory  
15 factors." If we can turn up image 24 and 25.  
16 Mr. Registrar.

17 Mr. Karim, your report  
18 responds to Mr. Brownlee's statement that his  
19 experience and opinion is that reduced road  
20 surface friction will be the primary, i.e.,  
21 highest ranking contributory cause, of an  
22 overrepresentation of wet road crashes. And as I  
23 understand it, Mr. Brownlee testified that he was  
24 not asked to do an overrepresentation analysis but  
25 that he relied on CIMA's analysis which uses

1 provincial averages. What do you say to that?

2 A. As I read -- actually I  
3 have to disclose that I'm not expert on pavement  
4 friction. We only use the pavement friction as a  
5 safety engineer for safety assessments, so my  
6 perspective here comments came from that  
7 background.

8 So my understanding is if you  
9 are calling an overrepresentation as is actually  
10 even noted, Mr. Brownlee's report in the footnote,  
11 you have to compare with the peer facilities to  
12 call that it is an exception, overrepresentation  
13 in certain locations. So that's not been done and  
14 compared with the other provincial facilities.  
15 And the provincial data that was referred was for  
16 all roads, it's not freeway, and the freeway has  
17 slightly different way the collision can happen.  
18 So I was not sure without those comparable  
19 reference, it could be called as an  
20 overrepresentation of certain types of crashes and  
21 linking to the contributory cause.

22 Q. So one of the points that  
23 you raise in your report is the need for an  
24 accident reconstruction analysis, and Mr. Brownlee  
25 was asked about that. As I understand it, he says

1 that safety professionals don't always have  
2 collision reports and it's usually more for the  
3 very serious accidents, so they rely on trends  
4 such as dominant collision types, and then he uses  
5 that data to determine if it's different than  
6 peers. What's your view on that?

7 A. In general I agree with  
8 that. What we described in the report is you need  
9 to do a modelling to understand which one is the  
10 highestly and lowestly ranked, and to do that  
11 modelling obviously requires the data, which comes  
12 from either police data or somebody -- an engineer  
13 looked at, for example, in this case pavement  
14 friction or other parameters that is used in the  
15 model.

16 So that's the reference we are  
17 making here. To understand the actual  
18 contributory factors, you have to go through a  
19 certain process, and this is the process that we  
20 are referring. So in general, yes, we don't have  
21 always an access to the data, all the data that is  
22 needed, but to make a proper conclusion that's  
23 what we need. So that's the different that we're  
24 talking about here.

25 Q. Mr. Brownlee was also

1 shown the Highway Safety Manual. Do you know what  
2 that is, the Highway Safety Manual?

3 A. Yes, I do.

4 Q. Can we pull up HAM64754.

5 JUSTICE WILTON-SIEGEL: Just  
6 before we do that. Mr. Karim, I take your  
7 evidence to be, in the last matter, with respect  
8 to the ranking.

9 THE WITNESS: That's correct.

10 JUSTICE WILTON-SIEGEL: Not  
11 the question of whether friction would be a  
12 contributing factor.

13 THE WITNESS: You're right,  
14 yes, Mr. Commissioner. That's correct. Pavement  
15 friction is a contributing factors. Whether  
16 that's a primary or it's number 5 or number 10, I  
17 think that mean a difference that we're talking  
18 about.

19 BY MR. CHEN:

20 Q. So I think that's a good  
21 opportunity to pull up HAM64754. This is the  
22 Highway Safety Manual, Mr. Karim?

23 A. That's correct.

24 Q. And I seem to have lost  
25 the reference, but it should be image 239 and 240.

1 So, Mr. Karim, as I understand it, the Highway  
2 Safety Manual provides the key contributory  
3 factors for various crash types, which is what  
4 this table shows, titled Exhibit 63, "Possible  
5 Crash Contributing Factors Along Roadway  
6 Segments." Is that your understanding?

7 A. That's correct.

8 Q. And under "crash type,"  
9 the fifth one down is "wet pavement." As far as  
10 when I review that I don't see slippery pavement,  
11 and Mr. Brownlee testified that pavement design,  
12 so the first item in this category, so "pavement  
13 design, e.g., drainage and permeability," that's  
14 where slippery pavement would be included as I  
15 understand it. What's your response to that? Do  
16 you agree? Do you not agree?

17 A. Not fully agree.

18 Pavement design and slippery pavement, which is in  
19 the same image that you are showing in the run-off  
20 road, is listed as one of the conditions, are  
21 different. They are interrelated but not exactly  
22 same. So pavement design, this clearly refers to  
23 the drainage permeability. The pavement, for  
24 example, mix of the asphalt and granular  
25 materials, size of the material, those are the

1 things. It is one of the objective of course to  
2 achieve certain friction. You will have a surface  
3 when you design a pavement obviously, but actual  
4 friction, slippery pavement refers to regardless  
5 of how you develop or design a pavement.  
6 Depending on weather, depending on wear and tear,  
7 depending on the type of the maintenance and  
8 policy of the maintenance and other operational  
9 condition, friction could still change regardless  
10 of how you design.

11 So that's the slippery  
12 pavement or pavement friction that we usually  
13 equate. So those are two different items.  
14 Pavement design basically achieves a certain  
15 pavement surface, including the material it goes  
16 into the pavement design. Slippery pavement, once  
17 you have a surface, it has other contributory  
18 factors that creates a lower, higher, medium  
19 friction and so on, and that's called slippery.  
20 Obviously the lowest one is called as a slippery  
21 pavement.

22 So it's -- essentially it is  
23 not equivalent to just say pavement design is a  
24 friction.

25 Q. You had mentioned



1 maintenance. Are you suggesting that slippery  
2 pavement falls under inadequate maintenance, just  
3 so I'm clear about that?

4 A. It could be part of the  
5 winter maintenance policy, how you perform and  
6 maintenance under certain weather conditions.  
7 That's -- so it's mostly maintenance in  
8 wintertime, but it could be also summertime that  
9 you don't allow to accumulate, for example,  
10 debris, looking at the cracks and potholes and  
11 other types of maintenance. So those are  
12 connected to the pavement surface or friction in  
13 terms of maintenance.

14 Q. The reference here to  
15 inadequate maintenance, are you saying that that's  
16 with respect to winter maintenance activities and  
17 not slippery pavement? I'm having just a hard  
18 time separating those two things from what you  
19 said.

20 A. So inadequate maintenance  
21 and slippery pavement are two different subject.  
22 They are interrelated. If you have a certain  
23 policy of maintenance, for example, winter  
24 maintenance, a certain threshold -- or certain  
25 time you initiate your salt treatment, as an

1 example, then if those are not met, that's  
2 inadequate maintenance. Because of that, there  
3 are certain time the road could be slippery. So  
4 it's not exactly the same thing. That's why they  
5 are listed as different items.

6 JUSTICE WILTON-SIEGEL: I  
7 instinctively think this is not a terminological  
8 discussion. Let us say that you have pavement  
9 that has been in use for 15 years, it's been -- it  
10 was fine when it started, but it's been highly  
11 polished. It exhibits, if tested, low friction  
12 qualities. I'm not saying this is the situation  
13 now; I'm just dealing hypothetically. Are you  
14 saying that all of that notwithstanding, it should  
15 not be included as a possible contributing factor  
16 under wet pavement, in respect of wet pavement  
17 collisions?

18 THE WITNESS: That's one of  
19 it, but it's on the key contributory factors.  
20 It's four of them are listed here, but obviously  
21 this list is longer when you look at in detail.  
22 So pavement friction could be one of it. It's  
23 probably not the top four. Top four is listed  
24 here. That's the difference that we're --

25 JUSTICE WILTON-SIEGEL: When

1 they say top four here, what kind of study lies  
2 behind all of this?

3 THE WITNESS: It's -- the  
4 highway designs safety manual is a series of what  
5 we call -- they have a database entire U.S. and  
6 Canada to generate models and the models give you  
7 the information in typical conditions. What are  
8 the typical contributory factors for wet pavement.  
9 Because of all those statistical models, they  
10 identify these are the top four as the main  
11 contributory factors related to pavement.  
12 Friction or even other contributory factors are  
13 also -- could be the cause, but it's not the top  
14 four. That's the summary that --

15 JUSTICE WILTON-SIEGEL: How  
16 you interpret this. Okay.

17 THE WITNESS: Yes.

18 MR. CHEN: Mr. Commissioner,  
19 okay to take this down now?

20 JUSTICE WILTON-SIEGEL: Yeah,  
21 sure.

22 BY MR. CHEN:

23 Q. Thank you. We can take  
24 that down, Mr. Registrar. If we can go to image  
25 27 and 28 actually. That's probably better.

1 Sorry, of Mr. Karim's report, which is HAM64759.

2 27 and 28. Perfect. Thank you.

3 Mr. Karim, you provide a  
4 before and after collision analysis and ultimately  
5 concluded that, for various reasons, and we've  
6 heard about this earlier from Mr. Brownlee, that  
7 you can't draw any reliable conclusions regarding  
8 the collisions following the resurfacing. And  
9 you may have seen the evidence or watched the  
10 evidence of Mr. Brownlee, but he has reviewed your  
11 report and now he agrees with your analysis on  
12 that issue. And prior to that agreement, you had  
13 provided a lengthy discussion on how to conduct a  
14 proper before and after analysis. I do not plan  
15 to go through the majority of it now, but perhaps  
16 you can just tell us at a very high level what  
17 that study does.

18 A. This section we are  
19 describing how the before and after, after certain  
20 treatment or certain changes, major changes in the  
21 highway or roadway was implemented and if it  
22 resulted in a change in safety performance,  
23 obviously collision rate that I'm referring. And  
24 there are two methods to do it.

25 Highway Safety Manual

1 describes how to do those two methods. The first  
2 one describes before and after with a comparison  
3 safety group. As we discussed earlier, comparison  
4 group essentially referring to the similar  
5 facilities compared to the one that you are  
6 referring. And it describes how to do it in terms  
7 of data. For example, it requires three to five  
8 years of data, at least 10 to 20 sites, other  
9 sites, and some of the other details of the safety  
10 perform function which is one of the way to  
11 evaluate and perform this analysis.

12                                   The second method describes a  
13 specific type or target. For example, you are  
14 looking at single motor vehicle instead of overall  
15 collision. How to do that. And it's very  
16 similar. The only difference is within the same  
17 highway, different segments could be compared, and  
18 it also at the same time could be compared with  
19 that segment to a similar segment. And how many  
20 years of data and sites is needed is essentially  
21 very similar compared to the first one. And both  
22 methods giving you -- this is a very scientific  
23 process to evaluate before and after situation.  
24 For example, you're referring here the resurfacing  
25 on Red Hill Valley.

1 Q. From a data perspective,  
2 it's three to five years before and three to five  
3 years after; is that right?

4 A. Yes, that's correct.

5 Q. So obviously the pandemic  
6 is one of the reasons why the data after  
7 resurfacing is unreliable?

8 A. Yes. So after the  
9 resurfacing, which was done later part of the 2019  
10 and before the first lockdown came in in March or  
11 April in 2020. So we have limited time, and it's  
12 less than six months that we can compare, which is  
13 not obviously sufficient data was available, and  
14 after that, as we all know, COVID came and altered  
15 the traffic volume, speed, and other condition  
16 drastically. So those data are not reliable any  
17 more, and that's one of the reason. Obviously  
18 before, sort of similar condition existed before  
19 the resurfacing, but after, that's the situation  
20 we're dealing with because of several reasons,  
21 including COVID.

22 Q. Just in terms of the  
23 after period and when we can start looking at the  
24 data again, I recall Mr. Brownlee saying in 2022,  
25 and I can't remember if he made a distinction

1 between the first half or the latter half. What's  
2 your opinion on when that data -- the post data  
3 can be looked at?

4 A. As we received  
5 instruction from Ministry of Transportation and  
6 other cities, they prefer or indicate the last  
7 part, later part of 2020 would be going to the  
8 normal, and obviously beginning of 2020 will be  
9 very similar, this year, that would be compared to  
10 the pre-pandemic conditions. And if you look at  
11 minimum three year, that will take us to roughly  
12 2025, I would say, to have enough data to look at  
13 after conditions.

14 JUSTICE WILTON-SIEGEL: I  
15 think you probably misspoke. You said I think --

16 MR. CHEN: You may have said  
17 2020.

18 JUSTICE WILTON-SIEGEL: --  
19 2020. And you meant to say the latter part of  
20 2022?

21 THE WITNESS: That's correct.  
22 Sorry. Yes.

23 MR. CHEN: And starting 2023.

24 THE WITNESS: Starting 2023.  
25 Yes.

1 BY MR. CHEN:

2 Q. As part of your  
3 discussion on using an appropriate dataset, I  
4 understand you provided an example of that using  
5 both the Red Hill Valley Parkway and the  
6 assessment of collision rates before 2019. So my  
7 first question there is, why do you -- think it  
8 might be obvious from our discussion, but why do  
9 you only look at data before 2019?

10 A. So it's 2014 to '18 is  
11 before the pandemic, and it's also a requirement  
12 from the Highway Safety Manual to look at that  
13 range, so that's one of the reason we selected  
14 that period.

15 Q. We can turn up images 28  
16 and 29. So you undertook a collision rate  
17 analysis. What conclusions did you come to?

18 A. We undertook a collision  
19 rate analysis for 2014 to '18 and looked at  
20 different segments and aggregated average of the  
21 entire Red Hill Valley, and we found that the  
22 collision rate is -- in the northbound direction  
23 is .69, and in the southbound direction is .43.

24 Q. If I can just stop you  
25 right there so we can pull up the table. That



1 might help a bit more visually. We can leave on  
2 29 and image 30, actually, Mr. Registrar. Table 3  
3 has the results, I understand.

4 A. Yes, that's the table 3 I  
5 was referring, so that's the results of the  
6 collision rate analysis, and on each column for  
7 each segment, collision rate is noted. Different  
8 segments in two different directions. And the  
9 bottom of the table 3, it gives you an average for  
10 two direction. That's the collision rate that I  
11 was referring earlier.

12 Q. So northbound average  
13 weighted is .69, southbound average weighted is  
14 43. Correct?

15 A. That's correct.

16 Q. And on image 29, there's  
17 a paragraph, "after reviewing the collision rates,  
18 we found the RHVP achieved." If we can just call  
19 that out, Mr. Registrar, so it's a bit bigger.  
20 It's the fourth paragraph down on image 29.  
21 That's your conclusion there?

22 A. That's correct.

23 Q. You make reference to the  
24 initial planning collision rate:

25 "The RHVP achieved the safety

1 rate as per its initial planning collision rate."

2 Can you elaborate on that?

3 A. Between 1982,  
4 environmental report noted a 1.0 collision per  
5 million vehicle kilometres. That's the collision  
6 rate we are referring here for provincial  
7 freeways, and they noted that would be a general  
8 target for safety in Red Hill Valley. When we  
9 looked at our collision rate, it obviously falls  
10 under that target, so that's the conclusion I'm  
11 referring here.

12 Q. We said or used the term  
13 "collision rate" quite a few times, but to be  
14 clear, what's a collision rate?

15 A. Collision rate  
16 essentially gives you a normalized or neutral unit  
17 to compare in different segments or different  
18 types of roads. It is achieved by dividing  
19 collision -- number of collision divided by the  
20 segment of the road and traffic volume of that  
21 segment.

22 Q. Your conclusion goes on  
23 to talk about other highways. I take it your  
24 conclusion there is that the Red Hill, based on  
25 these numbers here, perform either similar or in

1 some cases better than other provincial highways,  
2 and those are the ones you've listed there; that's  
3 correct?

4 A. That's correct.

5 Q. So we can take that  
6 callout down, Mr. Registrar. On image 29, there  
7 is a mathematical formula there. Is that what you  
8 use to calculate the collision rate?

9 A. That's correct.

10 Q. And can you tell us what  
11 information you need, and I think it's set out  
12 there, perhaps describe the various pieces of  
13 information that you need to undertake that  
14 calculation?

15 A. So we need at least three  
16 information. As you can see, the equation is  
17 listed. Total number of collision for five-year  
18 period, which is noted as A. The length of that  
19 segment, of different segments in specific  
20 highway, roadway. And traffic volume. And  
21 traffic volume noted here is average annual daily  
22 traffic, which is noted as AADT, which is  
23 essentially a data that we received, daily traffic  
24 volume. I believe it was averaged for several  
25 days. That's how typically data is collected.

1 Over five-year period, we average the five-year  
2 data, and so that's the average daily traffic that  
3 we need for calculating collision rate for  
4 different segment or entire highway.

5 Q. Just on the traffic  
6 volume, you mention in your report at the top of  
7 image 29 what you just described, which is that  
8 you were provided with AADT, but you had some  
9 missing segments along the Red Hill, that you had  
10 to apply a volume balancing method. What is that?

11 A. So when we received the  
12 data, it was in the mapping software. When we  
13 looked at, it looked like there are smaller  
14 segments. The data was not collected. It's very  
15 normal. City doesn't collect every location of  
16 the highway. It collected certain locations. So  
17 that leaves a gap between the data locations that  
18 was collected. The easiest way to estimate is,  
19 for example, if there is an interchange or ramp  
20 there, off ramp, we will deduct it; if it's on  
21 ramp, we will add it to estimate the traffic  
22 volume of that missing segments. So that's the  
23 volume balancing method.

24 Q. Is the volume balancing  
25 method an accepted practice in the industry?

1 A. That's correct, yes.

2 Q. All right. So now I want  
3 to talk about the actual work to calculate those  
4 collision rates.

5 So here, Mr. Commissioner,  
6 there has been some back and forth with commission  
7 counsel on how the collision rate was calculated,  
8 including with Mr. Brownlee and his team. A  
9 misunderstanding on the methodology used by Mr.  
10 Karim given what was indicated in one of the  
11 footnotes that we had with talked about right at  
12 the start and how the collision data was filtered.  
13 That was the correction from this morning.

14 So for clarity, I intend to go  
15 into a bit more technical detail than may be  
16 desired in the course of a hearing and to pull up  
17 the actual spreadsheet Mr. Karim used just so that  
18 we can all see how he did it, and hopefully that  
19 adds the necessary clarity for any follow-up  
20 questions or cross-examination to take place by  
21 commission counsel.

22 JUSTICE WILTON-SIEGEL: So  
23 that I understand, this is with respect to the  
24 overall collision data or the overall collision  
25 rate -- is that correct?

1 MR. CHEN: Yeah, that's  
2 correct. The figures that were set out in table 3  
3 on the screen, how the methodology to calculate  
4 those numbers.

5 JUSTICE WILTON-SIEGEL: Okay.  
6 Why don't we proceed. If there's any objection,  
7 we'll deal with an objection at the time.

8 BY MR. CHEN:

9 Q. So we have produced a  
10 document, HAM64783, and because we are going to  
11 show the steps that Mr. Karim took to do the  
12 analysis, my colleague Ms. Contractor will be  
13 sharing her screen with the spreadsheet, if that's  
14 okay?

15 MR. LEWIS: I would just --  
16 I'm okay with that. What I would say is that this  
17 document was produced to us yesterday at --  
18 sometime in the early afternoon, I think during  
19 the lunch break of the hearing yesterday. So that  
20 was the first time this particular document  
21 showing Mr. Karim's work was provided. So with  
22 that note --

23 JUSTICE WILTON-SIEGEL: Mr.  
24 Chen, I'm aware there have been discussions but no  
25 more than that. Certainly not the substance of

1     them.  Can I ask -- could you jump to the  
2     conclusion for a moment so I understand where  
3     you're going?

4                     MR. CHEN:  Well, I can tell  
5     you, Mr. Commissioner, Mr. Karim's conclusions,  
6     the collision rate that's on the screen -- well,  
7     not on the screen any more, but table 3, are the  
8     same, and it really comes down to what was  
9     indicated in Mr. Karim's report in terms of how he  
10    did it to get to that number.  So there's  
11    confusion there.  Ultimately the conclusion is the  
12    same, and just because there's been back and forth  
13    on how it was done, I thought it may be necessary  
14    to actually show the work but --

15                    JUSTICE WILTON-SIEGEL:  So he  
16    stands by these numbers?

17                    MR. CHEN:  I understand that  
18    he does stand by them.

19                    JUSTICE WILTON-SIEGEL:  
20    Exactly these numbers?

21                    THE WITNESS:  That's correct.

22                    JUSTICE WILTON-SIEGEL:  And he  
23    applied this formula with which we are already  
24    familiar, I think, based on the fact that the same  
25    formula was used by CIMA when it did a similar

1 calculation. So the issue, then, is I assume  
2 about the data that's in or out; is that correct?

3 MR. CHEN: That's correct.

4 What -- there's a spreadsheet that sets out -- go  
5 ahead.

6 JUSTICE WILTON-SIEGEL: So is  
7 the issue about the data that's in here, or is it  
8 with respect to the comparison between the data in  
9 here and the comparison -- the numbers generated  
10 for the comparator highways?

11 MR. CHEN: I'm expecting there  
12 to be an issue with both in terms of the use of  
13 the comparators, but I think there's also an issue  
14 about how the data was filtered, though --

15 JUSTICE WILTON-SIEGEL: In  
16 other words, what the data is that goes into these  
17 numbers?

18 MR. CHEN: That's correct.

19 And I see Mr. Lewis on the screen, and I think  
20 he's in agreement with that.

21 JUSTICE WILTON-SIEGEL: That's  
22 fine. That helps. Then let's proceed.

23 BY MR. CHEN:

24 Q. If I can impose my  
25 colleague Ms. Contractor to pull up HAM64783.



1                   Mr. Karim, this spreadsheet,  
2 perhaps you can just describe to us what this  
3 spreadsheet shows us.

4                   A.    So this spreadsheet  
5 essentially is same as table 3, and it just has a  
6 bit more few columns how the data behind it. So,  
7 for example, we have a length of the segment, we  
8 have a number of collisions, but the last column  
9 is collision rate, which, if you want to compare  
10 it, is essentially the same number is in the  
11 report. So that's basically it shows what is in  
12 this worksheet.

13                  Q.    At the last row, row 23,  
14 under column F, you looked at a total of 504  
15 collisions for the period of 2014 to 2018, right?

16                  A.    That's correct.

17                  Q.    All of the raw data or  
18 the collision data is included in the tab titled,  
19 at the bottom left there, "Raw data with filter";  
20 is that correct?

21                  A.    That's correct.

22                  Q.    So can you walk us  
23 through how you ended up with the relevant  
24 collisions for the 2014 to 2018 collisions that  
25 took place on the mainline of the Red Hill Valley

1 Parkway?

2                                   A.    If you can go to the raw  
3 data and show -- and column D, location, if you  
4 click that little button arrow and if you deselect  
5 and only select the Red Hill only. So first two,  
6 you have to deselect those, and the rest, if you  
7 can scroll down, is Red Hill. So that's fine.  
8 That's the filter we use just to select the  
9 location. It's Red Hill, not LINC. So that gives  
10 you a number of -- certain number of collisions.

11                                   And then if you scroll to the  
12 right, the second filter would be accident year.  
13 So if you click that and deselect, only select  
14 2014, '15, '16, '17, and '18. So that's the year  
15 that is reported, so that's another filter.

16                                   If you go right, accident  
17 location, and if you deselect at intersection.  
18 Yes, that's correct.

19                                   Q.    Just so I can jump in  
20 there, Mr. Karim, you're deselecting intersection  
21 because?

22                                   A.    There is no intersection  
23 of the Red Hill Valley. It's only interchange.  
24 That's the reason for exclusion.

25                                   The last one, that's the

1 classification of accident, and non-reportable, if  
2 you deselect that. It's non-reportable  
3 essentially referring to the self-reporting  
4 collisions that is under the threshold of PDO.  
5 PDO is property damage only. That's the category  
6 for self-reported data. The remaining data are  
7 for reportable, fatal, non-injury, and PDO. Those  
8 are reportable category.

9 Q. What's PDO?

10 A. PDO is property damage as  
11 per -- which is above the threshold indicated by  
12 provincial law.

13 Q. And in terms of  
14 terminology, non-reportable and self-reported,  
15 that's the same thing?

16 A. No. It's different.  
17 It's not PDO. It's categorized as per the  
18 provincial instruction as non-reportable, or  
19 sometimes referred as self-reported data. So it's  
20 a different category. Essentially if you have  
21 self-reported data, it is the fourth category you  
22 will see. If it's reportable data, you will see  
23 the first three category. That's the requirement,  
24 provincial process, and this is kind of the crash  
25 data qualification method.

1 Q. So maybe my question  
2 wasn't clear. But PDO, or property damage, is one  
3 category, right?

4 A. That's one category, the  
5 last category --

6 Q. And self-reported and  
7 non-reported are a separate category, right?

8 A. That's correct, yes. So  
9 if you selected, you will have -- if you look at  
10 the number of collisions at the bottom, you will  
11 have 499 crashes as you're looking at that number.

12 Q. And we know the total  
13 that you looked at was 504?

14 A. Yes. So what we did  
15 after this 499 crashes, we plotted in GIS to make  
16 sure that we are actually plotting the right data.  
17 When we plotted, there were five crashes, it  
18 appears, using the code names of -- the geographic  
19 code names which is listed in the last two column.  
20 Those five crashes are actually within the study  
21 area, meaning within the segment that we're  
22 analyzing. So we added those five just because  
23 from the actual location, it appears to fall  
24 within the study area. So that's why we have 504  
25 instead of 499.

1 Q. Just as a cross  
2 reference, you were able to -- because the  
3 collision data provides I guess I'll call them the  
4 GPS coordinates, you effectively put them on the  
5 Red Hill map?

6 A. That's correct.

7 Q. And you compared that  
8 number, the total number of those plotted  
9 collisions, to the 499; is that right?

10 A. That's correct.

11 Q. And then you added back  
12 in the five I guess for greater accuracy?

13 A. Yes, that's correct.

14 Q. You'll recall when we  
15 talked about the footnote in your report, it said  
16 you had excluded ramps from the data. You didn't  
17 do that here, correct?

18 A. No, that was done for the  
19 crash type. So that's actually footnote for other  
20 section in the next --

21 Q. And I just want to  
22 clarify, though, and I think a lot of confusion,  
23 aside from the footnote, goes to the -- this road  
24 character as ramps. In this spreadsheet when you  
25 plotted the data, were the ramp collisions on the

1 ramp or the mainline?

2                           A.     So the confusion -- also  
3 we still have not fully understood the ramp  
4 categories listed here.  When we plotted none of  
5 the data was inside the ramp loop.  So that gives  
6 us an idea that it is not inside the loop, but  
7 most of them are in the mainline through travel  
8 lane, the straight travel lane, but few of them  
9 are still located within the lane that leads to  
10 the ramp.  So ramp has two section, loop area, and  
11 the travel lane leading to the loop.

12                           So few of them falls or close  
13 to those locations, and you have to keep in mind  
14 that when the GPS location are listed, it might be  
15 the collision where it happened or it could be  
16 where it landed.

17                           So that's distinction will be  
18 few metres, and obviously travel lane is only  
19 three-and-a-half metre wide, so those  
20 interpretation of how the incident happened and  
21 how it was coded and collected by the police,  
22 might be some of them are still in the lane that  
23 is leading to the ramp.  And that was obviously  
24 confusion why it was coded originally as a ramp,  
25 but as we understand looking at the actual data,

1 it did happen the lane in the mainline or the  
2 travel lane leading to the ramp but nothing inside  
3 the ramp.

4 So that's the reason we did  
5 not exclude it, but for other prospective, for  
6 example, crash type, if you are inside the ramp  
7 lane then it could be different types of crashes.  
8 So that's one of the reason maybe we'll discuss  
9 next section when it comes.

10 Q. For the purposes of the  
11 collision rate, those collisions that were  
12 identified as ramps, they are effectively mainline  
13 collisions in your analysis?

14 A. Yes. Yes, that's why we  
15 included those ramps data.

16 Q. So does that take us to  
17 the end of how you filtered to get the collision  
18 data which was then fed into the collision rate  
19 formula?

20 A. That's correct.

21 Q. There are also two other  
22 tabs in here, one that says available segments and  
23 one that says missing segments. Obviously a lot  
24 of numbers and equations, but these two tabs show  
25 your work regarding the segments and the volume

1 balancing method that we talked about?

2 A. Yes. So the missing  
3 segment is the volume balancing method, that's  
4 what is showing here. The available segments are  
5 the one that we have traffic volume, would those  
6 segments. So we try to differentiate where are  
7 those missing segments or the segments that the  
8 data is provided, and wherever we found the  
9 missing segment, we recalculate and we finish the  
10 entire corridor without any gap.

11 Q. So we can take that -- I  
12 think we're done with this spreadsheet. A  
13 question on non-reportable collisions. You had  
14 filtered those out. Why did you do that?

15 A. We actually plotted the  
16 non-reportable collisions, and one of the issue of  
17 the non-reportable, it is not done by police, for  
18 example, who is professional or in a standard  
19 manner. The way -- the self-reported is obviously  
20 reported by a driver who is involved in the  
21 collision, is typically what they do, they will  
22 look at the highway close to some cross street and  
23 they will say, well, it's close to Greenhill,  
24 instead of actually saying it's probably 153 metre  
25 from Greenhill, which is done by police usually



1 but not the typical person.

2                               So if that is like a typical  
3 person does, what it creates a problem that you  
4 are -- when you're coded, that location is now  
5 added to the Greenhill, which is where not exactly  
6 the incident happened. So in terms of collision  
7 rate, it becomes an issue because we're trying to  
8 look at each section and which section is showing  
9 lower or higher collision rate.

10                              So if the self-report is  
11 included and is the location data or other data  
12 that is not typically detail in the self-reported,  
13 it becomes an issue that if you add it to certain  
14 location that is not actually its high collision  
15 rate, inclusion of that, you will end up with high  
16 collision rate for a segment that doesn't actually  
17 need so much attention.

18                              So it would lead to a  
19 different conclusion -- let's say King Street area  
20 is a constrained area. Instead of addressing  
21 that you will be addressing Greenhill, which is  
22 obviously a very critical factor in terms of crash  
23 rate analysis. That's one of the reason when we  
24 realized that's the situation.

25                              There is a use of

1 non-reportable. You can use it for cash type.  
2 Obviously everybody knows how the crash happened.  
3 You can use it for insurance purpose. You can use  
4 it for cost benefit, and there are use of not  
5 self-reported data.

6 MR. CHEN: I forgot to mark  
7 the document as an exhibit, and I think that's why  
8 Mr. Lewis came on screen. If we can mark that  
9 HAM64783 as the next exhibit.

10 THE REGISTRAR: Exhibit 236.  
11 EXHIBIT NO. 236: Collision  
12 Rates Analysis; HAM64783.

13 BY MR. CHEN:

14 Q. Thank you. Just  
15 following on the discussion about not including  
16 non-reportable collisions. We know in your report  
17 you go on to compare the Red Hill Valley Parkway  
18 collision rate that you calculated, which has  
19 removed the non-reportable collisions, with the  
20 collision rates calculated by CIMA in 2019 for  
21 certain MTO highways. We'll come to the document  
22 in a second.

23 As I understand it, the 2019  
24 CIMA collision rate calculations for those MTO  
25 highways, they say that the collision rates

1 include self-reported collisions. So does that  
2 mean you are comparing a Red Hill Valley Parkway  
3 collision rate, which has excluded non-reportable  
4 collisions, with the collision rates of other  
5 highways, which have included? So not a  
6 apples-to-apples comparison.

7 A. It appears in that way if  
8 you're reading the CIMA report, but I do have a  
9 slightly different perspective of how probably it  
10 happened and what happened. Usually in my  
11 26 years of data dealing with MTO, I have never  
12 seen the Ministry of Transportation disclose any  
13 self-reported data for professional use, so it's  
14 extremely rare, and I have never used or received  
15 the self-reported data.

16 The way to know it's their  
17 category, as we are discussing before, reported  
18 data are fatal injury in PDO. Self-reported has a  
19 different category. When we receive the data from  
20 MTO, we don't have the self-reported category.  
21 And in addition, we were provided with CIMA Excel  
22 worksheet. We looked at their traffic volume  
23 sources obviously slightly earlier, and those also  
24 showing three category, there is no self-reported.  
25 Based on --

1 MR. LEWIS: Is this something  
2 that's in evidence?

3 MR. CHEN: When you say  
4 "this," I take it you're referring to --

5 JUSTICE WILTON-SIEGEL: I'm  
6 going to suggest that I let Mr. Karim finish what  
7 he's saying, with the caveat that you should know  
8 right away that I have no idea how I can make any  
9 sense -- I can use what he's talking about, which  
10 seems to be -- and I don't mean this in a  
11 pejorative sense, I mean this in a purely  
12 descriptive sense -- speculative. It may be your  
13 best guess, but it is speculative.

14 THE WITNESS: That's correct.  
15 So it's my understanding. The third point  
16 obviously is in the report what we -- when we  
17 looked at CIMA average collision rates for  
18 different highway. In general, freeway falls less  
19 than one collision rate that we discussed at  
20 threshold. In this case their values varies from  
21 .6 to .9, in that range, and that's typically a  
22 freeway collision rate anywhere in Ontario. And  
23 it aligns with our findings, which is also very  
24 close to that range.

25 So my interpretation of their

1 data is it is a comparable. Highways and  
2 conditions and data could be compared with the Red  
3 Hill Valley collision rate that we estimated. It  
4 is the same thing -- in the CIMA report, is also  
5 reported with the self-reported data excluded.  
6 Collision rate was .69. As you can see, it still  
7 falls within the typical range of the freeway in  
8 terms of collision rate. So that's one of the  
9 reason we assume that those are comparable  
10 highways that could be compared with our collision  
11 rate results.

12 JUSTICE WILTON-SIEGEL: I'm  
13 just going to go back and ask you to repeat that  
14 because I totally did not get it.

15 If you can compress it to the  
16 essence, are you saying that you believe that the  
17 provincial numbers that go into the comparators do  
18 not include self-reported?

19 THE WITNESS: That's my  
20 understanding, as I have never received, or MTO  
21 has a strict policy, not including the  
22 self-reported data, and also the category that is  
23 reported data, it matches with the policy in the  
24 data that we looked at.

25 JUSTICE WILTON-SIEGEL: I've

1 got to stop you, make sure I understand the first  
2 one. Make my note for the first one. So you  
3 believe that the MTO numbers for the comparator  
4 highways also exclude self-reported accidents?

5 THE WITNESS: In general  
6 that's the case, that's correct.

7 JUSTICE WILTON-SIEGEL: In  
8 general. But we don't know that.

9 Then the second thing is you  
10 say the CIMA numbers, which I think we're talking  
11 about the revised CIMA numbers, 2019. Those are  
12 numbers with self-reported, correct?

13 MR. CHEN: Perhaps we can go  
14 to the document.

15 JUSTICE WILTON-SIEGEL: I'm  
16 just trying to understand what Mr. Karim thinks.

17 THE WITNESS: Yes. It is  
18 noted that non-reportable is included, but I was  
19 not sure that verified statement or not.

20 JUSTICE WILTON-SIEGEL: The  
21 CIMA numbers indicate that non-reportable are  
22 included?

23 THE WITNESS: That's  
24 indicated, but I was not sure that's a correct  
25 statement. Everybody made mistakes when writing a

1 report. We're all human being. That might be the  
2 case.

3 JUSTICE WILTON-SIEGEL: Well,  
4 except that they are expressly a revision of  
5 numbers that did not. But if we go one step  
6 further, then you said something about where their  
7 numbers fell relative to yours even if they were  
8 using non-reportable. But I think maybe I  
9 misunderstood. Maybe you're saying where their  
10 numbers fell indicate to you that they must have  
11 been using -- must have been excluding the  
12 non-reportables. Is that what you were saying?

13 THE WITNESS: Yes. So the  
14 number -- the range of the different highway,  
15 collision rates reported, it's usually the  
16 reportable collision rate range.

17 JUSTICE WILTON-SIEGEL: I  
18 understand that. I'm talking about your comment  
19 with respect to the CIMA numbers.

20 MR. CHEN: Yes, so although it  
21 mentioned that CIMA mentioned that it is included,  
22 but when we look at the rates and it's less than  
23 one, I realized that it's probably the typical  
24 collision rates for reportable collision data.

25 JUSTICE WILTON-SIEGEL:

1 Because their rates are below one?

2 THE WITNESS: That's correct,  
3 Mr. Commissioner.

4 JUSTICE WILTON-SIEGEL: You  
5 think that they must have excluded  
6 non-reportables?

7 THE WITNESS: That's my  
8 understanding of the collision rate data was  
9 produced by CIMA.

10 JUSTICE WILTON-SIEGEL: Okay.  
11 I should allow Mr. Lewis to raise any question  
12 that he wants to raise at this point.

13 MR. LEWIS: I don't have any  
14 questions, and there may be some cross-examination  
15 on it. I would just note that it was not just in  
16 the January 18, 2019 CIMA collision review memo  
17 where the inclusion from the four comparator roads  
18 was noted to include self-reported collisions; it  
19 was also confirmed with Mr. Malone in his evidence  
20 on two occasions that that was the case, and that  
21 was not cross-examined on. I just note that.

22 JUSTICE WILTON-SIEGEL: Okay.

23 MR. LEWIS: Thank you.

24 JUSTICE WILTON-SIEGEL: So,  
25 Mr. Chen, do you want to proceed?



1                   MR. CHEN:  If I can just add  
2   one comment on that.  I don't believe Mr. Malone  
3   was taken to the spreadsheet that Mr. Karim is  
4   referencing with respect to what he reviewed  
5   recently as showing the different categories of --

6                   JUSTICE WILTON-SIEGEL:  Well,  
7   okay, look.  This is, if it's relevant at all,  
8   much more appropriate for summations a month from  
9   now.

10                  MR. CHEN:  The collision rate,  
11   and I won't press much more than this, but the  
12   issue really just surfaced in the expert phase,  
13   and the collision rate discussion has been ongoing  
14   in this inquiry, and so evidence we would say is  
15   very relevant to that topic.

16                  JUSTICE WILTON-SIEGEL:  Let's  
17   proceed.

18                  BY MR. CHEN:

19                  Q.    Just for clarity,  
20   Mr. Karim, you did mention the spreadsheet that  
21   you reviewed.  That was a CIMA document, correct?

22                  A.    That's correct.

23                  Q.    Can we pull up the native  
24   of that document, which is CIM10266.

25                  MR. LEWIS:  I do have

1 something to say on this, Commissioner. I don't  
2 know the purpose for which it is being introduced,  
3 but again it is not in evidence. It was not  
4 put -- it's a CIMA document. It was never put to  
5 a CIMA witness, it's not in Mr. Karim's report,  
6 and we received this document last night, informed  
7 by city council that this may be used today at  
8 8:21 p.m. last night. So perhaps we could hear  
9 what the intended purpose of it is before I  
10 register an objection -- an objection beyond what  
11 I just stated.

12 JUSTICE WILTON-SIEGEL: What  
13 is the purpose of this? I assumed you were going  
14 to deal with single vehicle collisions. Is that  
15 correct or not?

16 MR. CHEN: No, this is -- when  
17 you were asking, Mr. Commissioner, the various  
18 reasons that Mr. Karim thought what he thought  
19 about the collision rate that CIMA used, he had  
20 also mentioned I think there would be a fourth  
21 reason why he expressed his conclusion about  
22 whether the collision rate included self-reported  
23 data or not, and he in his explanation made  
24 reference to a document, a CIMA spreadsheet that  
25 he reviewed which contained collision data that

1 showed various categories but not the  
2 self-reported category. And so that, as I  
3 understand, was Mr. Karim's evidence a few moments  
4 ago, and so that would be the purpose of --

5 JUSTICE WILTON-SIEGEL: Well,  
6 if you're asking me to draw a conclusion from this  
7 document without it having been the subject of any  
8 verification or explanation or both by CIMA, I  
9 think that's unrealistic. You're basically saying  
10 here's the document upon which Mr. Karim relies  
11 based on his interpretation of what he thinks CIMA  
12 made of this document. I don't know how  
13 realistically I could reach that conclusion, so I  
14 don't think this document -- at its simplest,  
15 there is no CIMA verification and explanation of  
16 this document, much less any indication of what  
17 they actually did with it. I think it's too late  
18 to be introducing this document.

19 MR. CHEN: The document, it's  
20 been in the database. CIMA produced the document.

21 JUSTICE WILTON-SIEGEL: Right.  
22 Well, Mr. Chen, I'm not going to rely on it.  
23 Based on what I've heard, Mr. Karim is making a  
24 certain number of speculative assumptions, his  
25 best guess. They may be right, they may not be

1 right, but it would not be appropriate for me to  
2 find something about what CIMA did based on this  
3 document. May be appropriate on the other three  
4 reasons which he gave. I'll have to reflect on  
5 that. But I think this document is too late to  
6 introduce for the purpose for which it is being  
7 suggested.

8 MR. CHEN: Well, Mr. Karim has  
9 significant experience looking at collision data,  
10 and I would say it goes to a matter of weight at  
11 the end of the day. We say Mr. Karim should at  
12 least be able to present the various reasons and  
13 the document that he relies on to come to his  
14 conclusion on that point just to see what the  
15 basis of his opinion is.

16 MR. LEWIS: May I jump in for  
17 one moment?

18 JUSTICE WILTON-SIEGEL: Yes.

19 MR. LEWIS: If that is the  
20 purpose, that this is the basis on which -- a  
21 basis on which Mr. Karim reached his conclusion  
22 that it was appropriate to filter out the  
23 self-reported collisions, it was not in his list  
24 of documents reviewed for his report. So  
25 therefore it could not have been part of the

1 reasons for which he decided to take that  
2 approach.

3 MR. CHEN: You know,  
4 Mr. Lewis, you're well aware that a number of  
5 different developments have arisen in the last few  
6 days which have kind of clarified or crystallized  
7 a number of issues, and I appreciate your point  
8 and I agree with you in fact on that, but it was  
9 after the fact following the discussions that we  
10 had that this arose. So, I mean, we can have  
11 Mr. Karim talk about what his thinking was at the  
12 time of the report, but as a result of the  
13 discussions that we had, what additional steps  
14 were taken.

15 JUSTICE WILTON-SIEGEL:  
16 Mr. Chen, I believe some time ago I made a  
17 determination. Can we pass on?

18 MR. CHEN: With respect to the  
19 topics that Mr. Karim was entitled to or permitted  
20 to --

21 JUSTICE WILTON-SIEGEL: This  
22 document. There is neither a need nor a  
23 justifiable reason for this document to be  
24 introduced at this stage into evidence, so I think  
25 we should pass on.

1 MR. CHEN: Understood.

2 Understood, Mr. Commissioner.

3 BY MR. CHEN:

4 Q. So now, Mr. Karim, I  
5 would like to turn to your assessment on collision  
6 types. Pull up the correct location in your  
7 report. It's at image 31 and 32.

8 Here you're responding to Mr.  
9 Brownlee's conclusions on the collision types on  
10 the Red Hill Valley Parkway, correct, Mr. Karim.

11 A. That's correct.

12 Q. Mr. Brownlee has not  
13 testified yet on this particular issue, but he has  
14 obviously spoken about it in his report, and I  
15 understand Mr. Brownlee to be saying that SMV  
16 collision proportions are higher than the  
17 provincial and city averages, with the most  
18 prominent impact type of accidents on the Red Hill  
19 is single motor vehicle accidents, which is  
20 unusual on a freeway facility. And finally, that  
21 there is an overrepresentation of SMV collisions,  
22 single motor vehicle collisions, on urban  
23 freeways. Do you agree with him?

24 A. No, I do not.

25 Q. Why not?

1                   A.     There are a few reasons.  
2     One is the provincial facilities it's referring,  
3     it doesn't make a distinction between freeways and  
4     other roadways. The data was referring -- is  
5     actually for all facilities, so it doesn't really  
6     give us any definitive answer whether SMVs is the  
7     dominant type in other types of freeway facilities  
8     in Ontario. So that's one of the reason I could  
9     not make a proper interpretation how that  
10    statement was decided.

11                   The second reason is as we  
12    looked at and as showing in the chart, rear end in  
13    single motor, which are refer as an SMV, are most  
14    two dominant type, and if you look at the graphs,  
15    it becomes very evident that sometimes the rear  
16    end could be higher in certain year, sometimes the  
17    SMV could be higher.

18                   And so that's the second  
19    reason that I could not find a specific reason to  
20    call SMV is higher under all types in all years.  
21    The actual data that's presented here, it doesn't  
22    show that clear trend. So I can explain later in  
23    detail. Also, when we look at this type of  
24    crashes, and two dominant types, are they close  
25    within the certain range of the two types. As you

1 can see, they're very close in terms of their  
2 proportion. It's sometimes 30 percent and  
3 40 percent, so it's within very close range.

4 And if you look at the figure  
5 4 which is the next page, typical variation of  
6 data. Because of his randomness, it fluctuates  
7 around the average value, and if that range is 10  
8 or 15 percent, then it could switch back and forth  
9 between the two major types of --

10 Q. Mr. Karim, you're talking  
11 about figure 4. That's not on the screen.

12 A. Yeah, we can explain --

13 Q. That's on -- pardon?

14 A. I can explain that  
15 vehicle later on, but the reason I bring here is  
16 the range that we're looking at, they are very  
17 closely following each other, within the  
18 10 percent range, and some years, as you can see  
19 in the figure, for instance, SMV is actually lower  
20 and rear end is higher in 2015, which is clearly  
21 noted, and if you're looking in that year,  
22 obviously you cannot call SMVs higher. If you're  
23 looking at 2012 or '13, then also they are very  
24 close to each other. 2011, again rear end is  
25 higher. So as I mentioned, that there's not



1 really any clear trend that SMV is the most  
2 dominant and is far away the higher proportion  
3 compared to the rear end collisions.

4 My conclusion is both are  
5 dominant type and because they are close to each  
6 other, they could switch back and forth in terms  
7 of the dominance in certain year or other year.

8 Q. At the start of your  
9 testimony you had mentioned that this goes back to  
10 the issue regarding with ramps in the collision  
11 data or without ramps, and as a result of those  
12 discussions with commission counsel, you produced  
13 a document yesterday that sets out or provides a  
14 further figure or line graph that includes graphs;  
15 is that right?

16 A. That's correct.

17 Q. So perhaps we can get  
18 some clarity by pulling up -- and this is another  
19 document, Mr. Commissioner, that my colleague will  
20 be pulling up. So it's HAM64784. If you scroll  
21 to the top of this spreadsheet, those are your  
22 results in rows 2 to 13?

23 A. That's correct.

24 Q. Obviously a lot of data  
25 here. Let's just break it down. Rows 3 and 4 and

1 6 and 7, just look at those first. Those are with  
2 ramp, except that rows 3 and 4 include reportable  
3 collisions?

4 A. That's correct.

5 Q. In that scenario, what's  
6 the result under column Q?

7 A. So with ramp and  
8 reportable data only, the average proportion of  
9 rear end is 27 and SMV is 46.

10 Q. And then what about rows  
11 6 and 7? What's the difference there?

12 A. 6 and 7 includes  
13 self-reported data. NR means non-reportable or  
14 self-reported. That when we include that, it  
15 changes. The rear end average proportion is  
16 42 percent, SMV to 33 percent, and obviously the  
17 reason is non-reportable are mostly like  
18 fender-benders, minor crashes, and mostly rear  
19 end. That's one of the reason likely rear end  
20 become dominant or higher than SMV.

21 JUSTICE WILTON-SIEGEL: So the  
22 rear end becomes 42 percent and SMV 33 percent?

23 THE WITNESS: That's correct,  
24 Commissioner.

25 JUSTICE WILTON-SIEGEL:

1 Because non-reportables -- because non-reportables  
2 are mainly rear end collisions?

3 THE WITNESS: Predominantly,  
4 that's correct.

5 JUSTICE WILTON-SIEGEL: Sorry?

6 THE WITNESS: It's mostly rear  
7 end. That's correct.

8 MR. CHEN: Sorry, did you have  
9 a further question, Mr. Commissioner?

10 JUSTICE WILTON-SIEGEL: No,  
11 Mr. Chen, go ahead.

12 BY MR. CHEN:

13 Q. If we can go to the -- on  
14 this spreadsheet, there is -- on the right side  
15 there's a line graph, SM rear end collisions with  
16 ramps. On the right side. Slight technical  
17 issue.

18 Mr. Karim, the graph on the --  
19 the line graph on the right side, that's a visual  
20 representation of the results that we were just  
21 looking at; is that correct?

22 A. Yes, both on the left and  
23 right side. The left was figure of 3. In my  
24 report, the right side, we -- it was not in the  
25 report, but we analyzed it regardless. That's

1 correct.

2 Q. So for comparison  
3 purposes, there's four lines overlapping. It can  
4 get a little confusing and hard to read. But to  
5 make sure we're comparing the right line to the  
6 right line, we should be looking at the solid  
7 yellow line and the dotted orange line. Those  
8 exclude the non-reportable, right?

9 A. That's correct.

10 JUSTICE WILTON-SIEGEL: Sorry,  
11 let's make sure.

12 MR. CHEN: It's the solid  
13 yellow and the dotted orange. Those exclude  
14 non -- and the legend is at the bottom of the  
15 graph.

16 JUSTICE WILTON-SIEGEL: Let me  
17 just make sure I understand. So basically the  
18 solids are SMV, the dotted are rear end, correct?

19 THE WITNESS: That's correct.

20 JUSTICE WILTON-SIEGEL: So the  
21 solid yellow is SMV excluding non-reportable, and  
22 the red is including non-reportable, so the  
23 comparable for the yellow SMV will be the dotted  
24 red. That's what you just said, Mr. Chen?

25 MR. CHEN: It would be the

1 orange, the dotted orange.

2 JUSTICE WILTON-SIEGEL: Okay,  
3 right. Will be the dotted. So on the left, that  
4 shows the yellow is higher apart from 2015; on the  
5 right, it shows the yellow higher. Is that  
6 correct?

7 THE WITNESS: Yes. Are you  
8 referring to excluding non-reportable?

9 JUSTICE WILTON-SIEGEL: I am,  
10 yes. I was looking at excluding non-reportables.

11 THE WITNESS: Yes.

12 JUSTICE WILTON-SIEGEL: So  
13 excluding non-reportables, single motor vehicle is  
14 higher than rear ends except for 2015?

15 THE WITNESS: In 2019 too. In  
16 '9 it goes below and rear end is higher.

17 JUSTICE WILTON-SIEGEL: Yeah,  
18 possibly, but I've got that part as blocked on my  
19 screen. That's not on the right side but --  
20 sorry, on the right side, it's blocked on my  
21 screen. Then including non-reportables, the rear  
22 end is higher on the left screen generally?

23 THE WITNESS: That's correct.

24 JUSTICE WILTON-SIEGEL: And  
25 similarly on the right screen?

1 THE WITNESS: That's correct.

2 JUSTICE WILTON-SIEGEL: Okay.

3 BY MR. CHEN:

4 Q. Mr. Karim, just looking  
5 at the graph with ramps on the right-hand side,  
6 and in particular when we exclude non-reportable,  
7 so that again is the solid yellow and dotted  
8 orange. So in some cases we see one higher than  
9 the other, in some cases we see the two lines  
10 being relatively close to each other. What can we  
11 take from the data that is shown?

12 A. So it means that the two  
13 types of collision are -- in terms of proportion,  
14 they are very close. They both are dominant, and  
15 because they are so close and randomness of the  
16 collision, it can switch back and forth.

17 In certain years one type  
18 becomes dominant, other type becomes less than the  
19 other one. So it's actually not a dominant word  
20 that I would use to describe. It's both are very  
21 close to each other.

22 There's not really any clear  
23 trend over 10-year period from 2010 to '20 to say  
24 one type consistently higher than the other one.  
25 It switches back and forth because of the close

1 proportion of these two types in Red Hill.

2 Q. The same question when we  
3 include non-reportables. So that would be the  
4 dotted green and the red, solid red?

5 A. That's correct.

6 Q. When you say "that's  
7 correct" --

8 A. The line is correct. Do  
9 you want me to explain?

10 Q. Yes. What do we take  
11 from the -- are there any trends that we can see  
12 when we compare the dotted green and the solid  
13 red?

14 A. So in this dotted green  
15 and solid red, it's a very similar trend that we  
16 discussed before. Obviously it appears that the  
17 SMV is lower and rear end is higher, but as you  
18 can see 2013 it flips. So it's number of location  
19 (ph), it switches back and forth because of the  
20 closeness of the proportion as we discussed  
21 earlier. It doesn't really clearly shows that one  
22 type is predominantly and consistently very high  
23 compared to other ones. They are really close to  
24 each other, so both types, as I concluded, could  
25 be the dominant type, and it could change over

1 year. In certain years, certain condition,  
2 because of the randomness, it doesn't show any  
3 type is clearly dominated in the Red Hill Valley.

4 MR. CHEN: Mr. Commissioner, I  
5 see it's 12:54. I don't have much left, if  
6 anything. I wonder if we could take the lunch six  
7 minutes early, and then I'll review my notes.

8 JUSTICE WILTON-SIEGEL: Sure.  
9 You think you're otherwise through?

10 MR. CHEN: Yes, if I do have,  
11 I can't see myself being long at all; 10, 15 at  
12 best.

13 JUSTICE WILTON-SIEGEL: I hope  
14 not, because we'd like to make sure we get through  
15 both witnesses today. Let's take our break.  
16 We'll return at 10 past 2:00.

17 --- Recess taken at 12:54 p.m.

18 --- Upon resuming at 2:11 p.m.

19 JUSTICE WILTON-SIEGEL: Mr.  
20 Chen.

21 MR. CHEN: Thank you,  
22 Mr. Commissioner. I just have two questions,  
23 largely for clarification on the initial planning  
24 collision rate.

25 BY MR. CHEN:



1 Q. Mr. Karim, you concluded  
2 that the collision rate that you calculated is  
3 below the initial planning collision rate of 1.0  
4 per million vehicle kilometres travelled for  
5 provincial freeways, and I appreciate that the  
6 rate is below 1.0, but what does that mean, could  
7 you break that down for us?

8 A. Are you asking things --  
9 collision rate that we produced and comparing with  
10 that target rate?

11 Q. That's correct. Break  
12 that down for us a little bit.

13 A. Okay. So as we discussed  
14 earlier, the initial target mention the 1982 area  
15 report is 1.0 million vehicle per crashes per  
16 million vehicles, and that basically a target  
17 threshold for most of the highway in general.  
18 This is not a prescriptive or raised number. This  
19 is a typical crash rate target in general across  
20 Ontario, Canada or even USA, and when any rate  
21 falls below or close to that, we would have a  
22 singular conclusion that the highway that I'm  
23 dealing with or any other highway or expressway  
24 are performing close to the expected ranges of the  
25 general freeway collision rate.

1 MR. CHEN: So that's it for  
2 the questions from me. I do want to mark the  
3 document that we referred to previously, HAM64784,  
4 as Exhibit -- the next exhibit.

5 THE REGISTRAR: Exhibit 237.  
6 EXHIBIT NO. 237: 2008-2021  
7 LINC RHVP Mainline Collision.  
8 Data; HAM64784

9 MR. CHEN: Thank you.

10 JUSTICE WILTON-SIEGEL: Okay.

11 MR. LEWIS: Commissioner, I  
12 understand, unless something that's changed, that  
13 none of the other participants' counsel have any  
14 questions, but I know that's the case for Ms.  
15 Roberts. I would ask Mr. Buck and Mr. Bourrier  
16 just to confirm that.

17 MR. BOURRIER: I confirm no  
18 questions from the MTO.

19 JUSTICE WILTON-SIEGEL: Do we  
20 have Mr. Buck on the line? Or someone else  
21 representing Dufferin? Perhaps not.

22 MR. LEWIS: Mr. Buck is there.  
23 He had said he didn't think he had any questions,  
24 just wanted to reserve five minutes, and that  
25 hadn't changed the last time I spoke to him. I

1 guess I'll proceed then.

2 JUSTICE WILTON-SIEGEL: Do we  
3 have Mr. Buck on the line? We do. Well, let's  
4 proceed. It's possible that he is elsewhere right  
5 now. The computer is on. Why don't you proceed,  
6 Mr. Lewis.

7 CROSS-EXAMINATION BY MR. LEWIS:

8 Q. Thank you. I'm going to  
9 have a series of questions, and I know it's a  
10 little unusual, Commissioner, but Ms. Hendrie is  
11 going to ask questions on the two areas involving  
12 the collision rates and SMV rear end things given  
13 the complexities of that.

14 So I'll start off, and we may  
15 need five minutes just so we can set up our  
16 respective computers once I'm done. When we get  
17 there, we'll deal with that.

18 So, Mr. Karim, regarding your  
19 CV and your experience, you mentioned regarding  
20 your work at 30FE. At a high level, you spoke  
21 about post accident, meaning legal cases, and  
22 pre-collision matters, consulting for I think you  
23 talked about in general if anyone is looking for a  
24 safety review of their systems or problems, I  
25 think is what you referred to. That was in

1 general when you're speaking of that. But when  
2 you were asked for details on that, you spoke of  
3 the post-accident legal cases, and you did not  
4 mention, that I caught, any consulting assignments  
5 in that regard. Or in regard to safety reviews.  
6 And I think, and you correct me if I'm wrong, I  
7 think when you were talking about your 30FE  
8 experience, you were mostly on those topics only  
9 using the words "we at 30FE" rather than I, which  
10 is what you used when you spoke of your experience  
11 at the City of Toronto and the City of Oshawa  
12 before that and at your prior employer.

13 So have you yourself completed  
14 a comprehensive, substantive safety review for a  
15 municipality? And I ask because I don't see one  
16 in your CV, but I could be missing it, so I wanted  
17 to ask that question.

18 A. Not in the 30 Forensic  
19 Engineering, but with my previous employers.

20 Q. So back before you were  
21 at the City of Oshawa; is that right?

22 A. The City of Oshawa, City  
23 of Toronto, in between Genivar and -- yes, that's  
24 correct.

25 Q. Sorry. WSP?

1 A. Yes, in-house WSP.

2 Q. WSP Genivar.

3 A. Yeah, Genivar is WSP now.

4 Q. Oh, I see. 2012 to '13,  
5 so you were there for about a year; is that right?

6 A. That's correct.

7 Q. And you personally at  
8 that point about a decade ago, you were involved  
9 in a substantive safety review; is that right?

10 A. Yes, all the municipality  
11 that I work for, most of them I was responsible  
12 and lead of the transportation engineering and  
13 safety of certain corridors of streets belong to  
14 those cities.

15 Q. At Toronto and Oshawa?

16 A. That's correct.

17 Q. Right. But in those  
18 instances for those two municipalities, I think  
19 you indicated that those were primarily  
20 transportation planning responsibilities. Am I  
21 wrong?

22 A. Both. Engineering and  
23 planning. So I was a transportation planning  
24 engineer, so I have to work on both department.

25 Q. Right. I get it. And

1 the transportation engineering and safety of  
2 certain concern corridors and streets. That does  
3 not include the limited access freeways, for  
4 example? I mean, you referred to work on -- when  
5 you worked in the municipalities, on -- with the  
6 407 and the 401 in relation to interchanges, but I  
7 inferred from what you said that that means the  
8 effects on the local arterials and so forth that  
9 arise out of the interchanges that are placed  
10 within the municipality; is that correct?

11 A. It's in general, mainline  
12 corridor and interchanges. We review all segments  
13 of the highway when it comes to us, especially  
14 from Ministry of Transportation, and they're  
15 responsible for any study that is given to us for  
16 verification or comments or any other input on  
17 those issue. But obviously interchange is the  
18 main focus, but we always also look at the other  
19 information is provided to us and comments on --  
20 including the mainline issues as well.

21 Q. But you're not conducting  
22 the study yourself, though, the review yourself,  
23 it's reviewing what has been presented by the MTO;  
24 is that right?

25 A. Whenever we review

1 internally there is two process. We look at their  
2 documents and work with the engineers and  
3 planners, what would be the changes. But we also  
4 produce our internal document using, obviously,  
5 design and planning knowledge to provide sometimes  
6 even drawings and alternative drawings compared to  
7 what is submitted, and that becomes a basis of our  
8 comments to the council or to the stakeholder like  
9 MTO. So we do produce internal engineering design  
10 documents to perform that activity.

11 Q. I note the use of the  
12 term again "we" rather than "I", so --

13 A. Sorry, I. Yes, I was the  
14 lead for those process. When I say it's me,  
15 myself.

16 Q. And you have a  
17 professional traffic operation engineers  
18 designation; correct? That's what you referred  
19 to?

20 A. That's correct, yes.

21 Q. And there's also a road  
22 safety professional designation from the  
23 Transportation Certification Board, right?

24 A. That is correct.

25 Q. You do not have that; am

1 I right?

2 A. No, I have the overall  
3 PTOE which touches all types of issue. I didn't  
4 feel that I need to obtain another certificate  
5 which is time consuming and payments every year.  
6 PTOE covers all aspects of traffic operations and  
7 safety in general.

8 Q. Okay. And that is a  
9 more -- and I'm not being critical when I say  
10 this, but it's a more general designation which  
11 includes a number of other more specialized  
12 aspects; is that fair?

13 A. That's correct, yes.

14 Q. And the road safety  
15 professional designation included there?

16 A. That's correct.

17 Q. So the PTOE designation  
18 includes some traffic safety stuff built into it,  
19 but not as extensively as the road safety  
20 professional designation does?

21 A. Yes, it includes as part  
22 of the entire review of traffic engineering  
23 operation, maintenance inspection, all kinds of  
24 thing including safety, that's correct.

25 Q. It's included in there



1 but not in as detailed -- I mean, the whole point  
2 of it is it's like a specialty designation, if I  
3 can just put it that way, the road safety  
4 professional designation; is that fair?

5 A. That's correct.

6 Q. Thank you. A number of  
7 the CIMA people, you're aware that they have --  
8 that worked on these projects have the road safety  
9 professional designations; is that fair?

10 A. Very likely. I'm not  
11 familiar with their background.

12 Q. Thank you.

13 Just on the design speed  
14 point, without going to it, Mr. -- I've heard your  
15 evidence on this, so I don't need to go back to  
16 too much. There's one particular point I want to  
17 just go to, so I'll just give the context.

18 Mr. Brownlee's report  
19 indicated about a potential effect on CIMA of  
20 having been advised of the actual design speed on  
21 the Red Hill rather than the assumed 110 kilometre  
22 design speed. You disagreed with his  
23 characterization to an extent, and if we can go to  
24 image 15 of Mr. Karim's report, please. This is  
25 image -- actually it's 15 and 16, which are pages

1 12 and 13.

2 So in 4.2.3 in the middle of  
3 the left-hand image, you quote from Mr. Brownlee's  
4 report about had CIMA been advised. Then you have  
5 a response to that, and in particular towards the  
6 -- in the last bullet on the left-hand page, you  
7 say:

8 In general, a safety  
9 assessment for existing highway speeds focuses on  
10 the posted speed limit and existing operating  
11 speed, not the design speed per the HSM."

12 In your footnote 36, it goes  
13 on both pages, and we can blow it up if we need to  
14 but -- maybe if we could do that, Registrar. It's  
15 the bottom footnote, 36, which runs onto the next  
16 page.

17 So you're referring to the  
18 HSM, as I understand it, as support for the  
19 proposition that a safety assessment for existing  
20 highway speeds focuses on the posted speed limits  
21 and existing operating speed, not the design speed  
22 per the HSM. That's what you're citing this for;  
23 is that right?

24 A. That's correct.

25 Q. It's actually the

1 footnote. I wasn't looking. It's the footnote  
2 that I wanted pulled up, Registrar. The actual  
3 footnote at bottom of the page running onto the  
4 next one. And on the next page. Thank you.

5                   Mr. Brownlee testified that  
6 this reference, and we can go to the Highway  
7 Safety Manual, but he testified that this  
8 reference to the Highway Safety Manual is  
9 misplaced. He said that this section of the HSM  
10 is related to calibrating predictive methods for  
11 urban and suburban arterials, not a limited access  
12 to freeway facilities. Would you agree with that?

13                   A. The theory provided,  
14 there is no specific theory for freeway, how to  
15 perform any method. HSM does not consider freeway  
16 anything specific that requires a special theory.  
17 The theory developed for any roadway, especially  
18 arterials, applicable to -- with some context to  
19 the freeway.

20                   So exact theory what is  
21 referring here is the speed category we're using,  
22 whether it's existing or predicting the  
23 existing -- future performance of the existing  
24 facility. This is a method in general. It's  
25 described here to use and predominantly depend on

1 the posted operating speed, which is a typical  
2 process of analyzing speed for safety performance  
3 by the professionals.

4 So I would agree that yes,  
5 it's not in the section, and actually there is no  
6 section in Highway Safety Manual for freeway. All  
7 the theories they developed could be applied with  
8 context to any roadway.

9 Q. It doesn't say that,  
10 though, right? It's called predictive method  
11 steps for urban and suburban arterials. That's  
12 what it says.

13 A. Yes, but the theory  
14 doesn't change if it is a collector road or if it  
15 is a provincial highway or freeway. Theory is  
16 theory. It is the basic theoretical foundation  
17 for any safety performance analysis.

18 Q. I have your evidence.  
19 Thank you. And you said that a -- that's where  
20 you got what you're referring to in your evidence  
21 earlier about the speed categories, right?

22 A. That's correct.

23 Q. And then you said that a  
24 design speed -- you can take that down, Registrar,  
25 thank you -- that a design speed of 100 -- this is

1 what you said this morning -- is not significantly  
2 different from provincial highways, if I  
3 understood correctly, and that you indicated that  
4 that was changed from your report where you said  
5 it's just slightly different. But that's what you  
6 were referring to, right?

7 A. Yeah, I think the  
8 reference here is the difference between 100  
9 kilometre and 110 kilometre design speed. The 10  
10 kilometre difference, that's what I -- between  
11 those two speeds that you're referring.

12 Q. So you were referring,  
13 then, just to that 10 kilometre an hour difference  
14 between the two, right? Okay.

15 A. That's what I understand  
16 from Mr. Brownlee's report, that that's what he's  
17 referring.

18 Q. 400 series highways  
19 typically have 120 kilometre design speed. Do you  
20 agree with that? Typically?

21 A. Typically it ranges  
22 between 110 to 120. Depends on where and what  
23 type of facility you're talking about.

24 Q. QEW, and 403, do you  
25 know?

1                   A.    It depends on some of the  
2    locations are lower design speed.  It's not a  
3    constant design speed across the corridors, so  
4    whenever there is a constraint situation, the  
5    design speed changes.  It's not everywhere the  
6    same design speed.

7                   Q.    As between 100 and 110  
8    design speed, just one of the effects of, as you  
9    indicated, design speed difference is the curve  
10   radius, and do you agree that under the 1985 MTO  
11   guide, the curve radius at a 100 kilometre per  
12   hour design speed is 420 metres is the minimum  
13   radius whereas it's 525 metres at 110 kilometre an  
14   hour speed?  Do you agree with that, or do I need  
15   to go to the reference?

16                  A.    No, I agree with that.  
17   You're referring to the interior design guide, the  
18   curvature options for different speed.

19                  Q.    Yes, exactly.  So that's  
20   a 105-metre difference, right, for the radius?

21                  A.    Yes.

22                  Q.    And you characterize --  
23   just so I'm clear, that's when you say that that  
24   is not significantly different?  Is that -- so I  
25   understand what your characterizing?

1                   A.    No, what I was referring  
2    significant is what is built already on the Red  
3    Hill is based on certain speed.  Whether you use  
4    110 or 1000 for different purpose and different  
5    analysis, the actual curvature on the Red Hill is  
6    not going to change, and the recommendation for  
7    that existing should be same for the same  
8    curvature, not for certain assumed design speed  
9    and assumed road curvature.

10                  Q.    Right.  You're taking it  
11    as you find it that the highway is what it is at  
12    this time, but you -- as part of what you said is  
13    that -- for this is that the speed analysis isn't  
14    dependent on the design speed?  Right?

15                  A.    Yes, you can perform a  
16    speed analysis assuming the speed category, as I  
17    mentioned earlier, 20 kilometre higher.  That's a  
18    typical analysis of --

19                  Q.    Right.  And --

20                  A.    That's correct.

21                  Q.    And CIMA here assessed  
22    the percentage of vehicles at or exceeding the  
23    assumed 110 kilometre design speed as being 15 to  
24    22 percent, right?

25                  A.    That's what I understand

1 from Mr. Brownlee's report.

2 Q. And that -- you would  
3 agree with me that's rather different than 34 to  
4 48 percent exceeding a 100 kilometre an hour  
5 design speed. That's the relevance of the design  
6 speed to the actual speeds being travelled, right?

7 A. In terms of magnitude,  
8 but in terms of recommendation, I'm not sure what  
9 would be the change in the recommendation because  
10 of those two difference. It would be, in my  
11 opinion, if you're attempting to recommend to  
12 reduce the design speed, for example, which was  
13 implemented later to 80 kilometre design speed,  
14 this percentage --

15 Q. Sorry, I think you mean  
16 the posted speed, just so we're clear.

17 A. Sorry, posted speed  
18 limit. This percent increase or decrease would  
19 not change that decision. That's what I was  
20 referring. Knowing 100 or 110, given the  
21 excessive amount of percentage, whether it's 20 or  
22 30 or 35 percent as a kind of random number that  
23 I'm referring, it's not going to change that  
24 recommendation if it is 100 or 110.

25 Q. With respect to



1 interchange spacing, if we can go to images 18 and  
2 19 of Mr. Karim's report. At the bottom of the  
3 left-hand image and the top of the right, you were  
4 excerpting from the MTO 1985 design guide about  
5 interchange spacing as where it says 2 to 3  
6 kilometres, in the first two paragraphs. And in  
7 the third paragraph, which is over on the  
8 right-hand image, it says:

9 "If arterial roads are spaced  
10 closer than 2 kilometres, it  
11 necessary either to omit some  
12 of the interchanges in favour  
13 of grade separations or adopt  
14 some alternative means of  
15 combining interchanges to  
16 service closely located  
17 arterial roads."

18 And so the options that are  
19 presented in there, in the MTO guide, and I  
20 appreciate one can deviate from the 2 kilometres,  
21 don't need to argue about that. They heard your  
22 evidence and Mr. Brownlee as well. But the -- in  
23 that third paragraph, when the first -- the thing  
24 that it's actually saying explicitly there is if  
25 you're under 2 kilometres apart, or if the

1 arterial roads are under 2 kilometres apart, one,  
2 the first things is, you know, omit an  
3 interchange, right, like do a flyover, whatever,  
4 so that you don't have an interchange for that  
5 arterial. That is one possibility, right?

6 A. That's correct.

7 Q. And then the second one  
8 that is given is that you do something, an  
9 alternative of combining the two so you could have  
10 one interchange for two arterials. That's the  
11 second one, right?

12 A. That's correct.

13 Q. So in terms of the  
14 explicit guidance that's given by the MTO guide on  
15 what to do when you've got arterials crossing the  
16 facility which are less than 2 kilometres apart,  
17 those are the two things that it suggests.

18 So it's not -- come back to  
19 what you said earlier today. It's not encouraging  
20 designers to space interchanges under 2  
21 kilometres, but it's, as a general proposition,  
22 recognizing that it might be necessary as one of  
23 the design trade-offs based on the existing  
24 topography and existing street structure, right?

25 A. That's correct. That's a

1 constraint situation, how you deal with it. I  
2 would just add one more, that after this paragraph  
3 which noted in my report as well, it actually goes  
4 on further and explain there are other ways to do  
5 it, not just these two options. It could be a  
6 change -- partial interchange, or it could be the  
7 configuration of the interchange. So it actually  
8 explains further that a constrained area is how to  
9 deal with less than 2 kilometre. So it has lot  
10 more options. Obviously you can copy and paste  
11 the entire book. That was not the purpose here.  
12 The purpose is to look at all other options, and  
13 after exactly this line that you are reading, they  
14 also give an illustration with a picture of  
15 different configurations and partial versus full,  
16 those kind of comparisons and so on, which we  
17 discussed earlier was one of the way the Red Hill  
18 Valley interchange was laid out following that  
19 principle.

20 Q. Right. And you referred  
21 to the Greenhill interchange, for example, which  
22 is a different type of interchange than one might  
23 typically see. But then -- and this is what I  
24 wanted to get to, was you talked about traffic  
25 signals for the King, Queenston, and Barton

1 interchanges, and I just wanted to make sure that  
2 I understood completely and that the Commissioner  
3 has your evidence on this.

4                               So did I understand correctly  
5 first of all that when you're talking about using  
6 the signalized interchanges, you're referring to  
7 having traffic lights at the entrance to a ramp  
8 off of the cross street, or vice versa when you're  
9 coming off of a ramp onto the arterial? Is that  
10 what you mean by traffic signals?

11                             A. What I mean is  
12 intersection, it could be if its volume is high,  
13 then mostly obviously a traffic signal is used.  
14 Volume is low, it could be also used without the  
15 traffic signals, without different kind of  
16 devices. So traffic control device gives you an  
17 access to certain direction. Instead of giving a  
18 full ramp access, it could be in both direction.  
19 For example, on Queenston and Barton on the east  
20 side, whether you're coming from eastbound or  
21 westbound, at the traffic signal you can access  
22 the same ramp where the traffic signal is located  
23 or intersection is located.

24                             Whereas if you go to the LINC,  
25 it will be both direction has their own ramp, and

1 that's the process that they try to limit the  
2 number of ramps if you compare the LINC and the  
3 configuration of those interchanges in the Red  
4 Hill.

5 Q. And the ones that you  
6 were talking about, if we could just -- just to  
7 make sure that we know the ones you're talking  
8 about, go to image 58 of Mr. Brownlee's report.  
9 This just has the drawing of the middle, part B  
10 section of the Red Hill. 58, please. Might be  
11 59. Yeah, 59, there we are.

12 If you could expand from the  
13 road itself, so from just to the left of where it  
14 says Greenhill over to the right of Barton.

15 A. Yes.

16 Q. Yeah, there we are.  
17 Thank you. It's a little blurry. So in terms of  
18 the traffic signals on the -- you were talking  
19 about, am I correct, King, Queen, and Barton --  
20 sorry, Queenston and Barton?

21 A. Yeah, I didn't check  
22 whether all of them are traffic signal, but I do  
23 know those are multiple direction access to --  
24 through the same ramp.

25 Q. On each of those three is

1 what you're saying?

2 A. Yes, it has an option to  
3 provide an access, both direction traffic, onto  
4 the same ramp.

5 Q. Right. But you mean onto  
6 both exit and on ramps?

7 A. No.

8 Q. When you say "the same  
9 ramp," I'm just not sure what you mean?

10 A. For example, if I give an  
11 example to Barton Street, which is on the right  
12 side of this image, and if you look at there is a  
13 loop ramp, and direction-wise it would be  
14 southeast corner, that route plan could be  
15 accessed by the eastbound traffic or westbound  
16 traffic.

17 Typically that's not the case  
18 for full interchange. Full interchange would have  
19 their own ramp. So if you're coming from  
20 eastbound, you will have an eastbound ramp on the  
21 right side, on the opposite side of the loop,  
22 whereas westbound will use this loop. So it will  
23 be used by a different direction exclusively by  
24 different ramps. In this case, two-direction  
25 traffic is accessing the same ramp.

1 JUSTICE WILTON-SIEGEL: Mr.  
2 Karim, could I just interrupt you and Mr. Lewis  
3 for a moment and make sure that I understand.

4 If we look at Barton, that's a  
5 very good example, and I want to translate this  
6 into northbound and southbound because that's  
7 the -- those are the directions we've been using,  
8 northbound being towards the QEW? Is that what  
9 you refer to as eastbound?

10 THE WITNESS: I think I'm  
11 probably mixing up.

12 MR. LEWIS: Could I interject?  
13 I wonder if we could have the Registrar flip it,  
14 so rotate it once to the left.

15 THE WITNESS: Yeah, that will  
16 be easier.

17 MR. LEWIS: Is that possible,  
18 Registrar? Well, it turns it a bit, but at least  
19 it's going -- the top is north, and there's Barton  
20 Street.

21 THE WITNESS: That's correct,  
22 yeah.

23 JUSTICE WILTON-SIEGEL: Just  
24 bear with me and let me explain what I think you  
25 are saying, and you can tell me that I'm all

1 wrong.

2                                   If we were proceeding  
3 northbound and wished to exit at Barton Street,  
4 there is the usual ramp, which would appear to  
5 take us up to Barton Street, and I'm assuming at  
6 Barton Street there's a stoplight, and one can go  
7 left or right at the stoplight. If one were  
8 coming along Barton Street with the intention of  
9 entering the parkway going northbound, you would  
10 stop at that stoplight, if it was red, and then  
11 when it was clear, you would turn left onto that  
12 circular ramp that is indicated in black which  
13 would enter just a little to the west of the  
14 stoplight.

15                               THE WITNESS: That's roughly  
16 correct, yes.

17                               JUSTICE WILTON-SIEGEL: Is  
18 that correct? So you go around that semicircle  
19 180 degrees and enter probably underneath the  
20 overpass that is Barton crossing the parkway; is  
21 that correct?

22                               THE WITNESS: That's correct.  
23 So on both sides if you look at east --

24                               JUSTICE WILTON-SIEGEL: And  
25 they have exactly the same configuration on the



1 south site.

2 THE WITNESS: That's right.

3 JUSTICE WILTON-SIEGEL: What  
4 you're saying is they have an entry and exit ramp,  
5 but they avoid anything in the northeast or the  
6 southwest quadrant?

7 THE WITNESS: That's correct.

8 So there are supposed to be actually extra ramp if  
9 it is a full interchange. Instead they used an  
10 intersection, traffic signal, or different kind of  
11 devices to provide an access through that  
12 intersection instead of providing an additional  
13 ramp.

14 JUSTICE WILTON-SIEGEL: Right.

15 THE WITNESS: On those two  
16 corners there is no ramp, that's correct.

17 JUSTICE WILTON-SIEGEL: To  
18 take an example, rather than having sort of the  
19 equivalent to the off ramp going northbound,  
20 northbound of Barton Street they have the  
21 semicircle?

22 THE WITNESS: That's correct.

23 So instead of two empty area, the two corners that  
24 we don't see any ramp, there is supposed to be a  
25 ramp, if obviously it was chosen to do that, to

1 avoid, or instead of that scenario they provided a  
2 traffic signal in the same ramp for both direction  
3 to access at the same location instead of another  
4 two extra ramp.

5 JUSTICE WILTON-SIEGEL: And  
6 for my edification, if I could be permitted one  
7 further question. How is that helpful in terms of  
8 interchange spacing? It seems to narrow the  
9 distance between the off ramp for Barton Street  
10 and what would otherwise be the on ramp for Barton  
11 Street where it would join the parkway.

12 THE WITNESS: So in terms of  
13 the interchange spacing and the ramp, number of  
14 ramps --

15 JUSTICE WILTON-SIEGEL: I  
16 think I should probably be talking about ramp  
17 spacing.

18 THE WITNESS: Yeah, I mean  
19 it's both. If you look at a certain distance,  
20 number of ramps are within certain interchange  
21 spacing. Using this configuration, you are  
22 reducing the number of ramps because you are  
23 constrained by the shorter spacing. So instead of  
24 two extra ramp which will introduce two extra  
25 conflict point, and obviously between the ramp to

1 ramp would be additional, so there is two issues,  
2 that has been not chosen at this type of  
3 interchange configuration explicitly, obviously,  
4 to deal with their constrained interchange spacing  
5 situation.

6 JUSTICE WILTON-SIEGEL: So if  
7 I can try to put that in terms of what I  
8 understand. You're saying in the normal  
9 configuration, you would have another on ramp --

10 THE WITNESS: Yes.

11 JUSTICE WILTON-SIEGEL: So  
12 you've reduced the number of ramps -- well, you've  
13 reduced the situation from one off ramp and two on  
14 ramps to one off ramp --

15 THE WITNESS: That's correct.

16 JUSTICE WILTON-SIEGEL: -- and  
17 one on ramp?

18 THE WITNESS: That's correct,  
19 Mr. Commissioner.

20 JUSTICE WILTON-SIEGEL: And  
21 the one on ramp would be there in any event, so  
22 it's not as if you've tightened up any spacing,  
23 you've just eliminated the third -- the second?

24 THE WITNESS: That's correct.

25 JUSTICE WILTON-SIEGEL: Thank

1 you. That's very helpful.

2 BY MR. LEWIS:

3 Q. Can you take that down,  
4 please, Registrar. Thank you. And then this  
5 morning -- both in your report and this morning,  
6 you indicated there aren't any -- you can take  
7 that down Registrar, thank you -- that there  
8 aren't any definitive studies or models to  
9 quantify the safety impact of interchange spacing,  
10 right, just to summarize?

11 And you said this morning, and  
12 I think I'm getting the quote right, that it's  
13 very hard to quantify what would be the exact  
14 outcome of certain interchange spacing. And you  
15 indicated that there were other -- there are other  
16 influencing factors that make it difficult or  
17 extremely difficult to find out whether spacing at  
18 a certain distance has a definite safety outcome.  
19 And -- but you also said it's generally understood  
20 that if interchanges are further apart, that  
21 there's less conflict, but what you can't tell is  
22 exactly how far apart these effects are felt for  
23 any particular spacing. Is that a fair summary?

24 A. That's correct.

25 Q. Having heard your

1 evidence and read your report, I just want to be  
2 then very clear on what you're saying. That  
3 although one can't make statistical conclusions  
4 about the exact effect of any particular  
5 interchange spacing on collisions, you do agree  
6 that interchange spacing makes the freeway more  
7 challenging for the driver, more work for the  
8 driver, closer, the interchanges are together  
9 directionally, and hence you're going to have a  
10 higher rate of collisions in all likelihood as  
11 they get closer, even if you can't make specific  
12 statistical conclusions about what particular  
13 spacing will result in a higher rate of -- in a  
14 particular rate of collisions; is that fair?

15 A. That's in general, but I  
16 would just want to add one clarification that when  
17 you have a shorter spacing situation and the steps  
18 are taken to reduce the conflict, a number of  
19 conflict location just like the one that we just  
20 discussed, that would minimize but not eliminate.

21 So I would agree with you that  
22 it's not going to be completely eliminate, but it  
23 will be managed to the degree that it's possible  
24 under the constraint condition, or minimized as  
25 far as possible. That's correct.

1 Q. And again, I'm not doing  
2 this to criticize a particular design decision  
3 under constraints. I just -- what are the  
4 effects.

5 And part of that is, and I  
6 appreciate you're not -- say that you're a  
7 friction expert, but to put it in another term,  
8 that when there's acceleration and deceleration  
9 and merging and lane changes and congestion at  
10 certain times and more braking can be required,  
11 there's more friction demand that's created  
12 because of those constrained -- of there being a  
13 constrained situation, subject to, you know,  
14 there's the mitigation effects you described, but  
15 directionally again that's the effect, right?

16 A. In general that would be  
17 the situation, if you have a more constrained  
18 situation.

19 Q. Thank you. With respect  
20 to the weaving distances, the ramp spacing, and  
21 you had indicated in your report that there  
22 were -- and you described today, but you described  
23 today that there are three ramp spacings which are  
24 under the 600-metre MTO guideline minimum. There  
25 are three of those, one of which is well under,

1 and the two others less so, right?

2 A. That's correct.

3 Q. In your report, though,  
4 you did describe it as -- you footnoted as the one  
5 being between Queenston and King being roughly 415  
6 metres, that that was the one that was well below?

7 A. That's correct.

8 Q. But the other ones you  
9 didn't describe as being over or under, you just  
10 said -- the others are within 100 metres, 90 to  
11 100 metres, right?

12 A. Yes.

13 Q. And then Mr. Brownlee  
14 checked and confirmed that in fact there are those  
15 three instances, and those are the one that you  
16 described, Queenston to King southbound. He  
17 thought it was about -- he measured about 425, you  
18 said 415, whatever. But that's the same one we're  
19 talking about, right?

20 A. That's correct.

21 Q. And that's the one that's  
22 well below. The other one is northbound Greenhill  
23 to King, which is about 500 metres; is that fair?

24 A. I measured 520 something,  
25 yeah, roughly.

1 Q. You said 520. Okay. And  
2 the other one, northbound King to Queenston, about  
3 550?

4 A. Yeah, my measurement was  
5 560. Yes, that's correct.

6 Q. I appreciate neither of  
7 you are on the ground measuring it out. Those  
8 three, just to then close it up, they are all in  
9 the area which we've all described where we have  
10 the lowest radius curves and the closer  
11 interchanges spacing. Is this again a fair  
12 summary of those?

13 A. That's correct.

14 Q. On design consistency and  
15 motorist expectations, you comment on a couple of  
16 things, and the first being design speed, which  
17 we've already discussed, but if we could go to  
18 image 23 of Mr. Karim's report.

19 Here you're disagreeing with  
20 Mr. Brownlee's comments in the first two  
21 bullets -- three bullets. The first two are the  
22 ones I want to focus on here. And you described  
23 these this morning as -- and consistent with your  
24 report is essentially if I can summarize it is,  
25 look, the Red Hill is not a 400 series highway,



1 and because it was designed with a lower design  
2 speed, the posted speed is different than 400  
3 series highways. That is something which is  
4 clearly communicated via the posted speed and  
5 pavement markings and so forth, and therefore  
6 there's no expectancy violation. Is that a fair  
7 summary?

8 A. The summary, the last  
9 part would be that it's -- I didn't say it's no  
10 expectancy violation. It would be minimal or  
11 insignificant in terms of the expectancy violation  
12 from the users perspective. So it's very subtle  
13 changes which has been communicated through  
14 various communication process. So that would be  
15 the correct interpretation what I say.

16 Q. But is that not the  
17 definition of a nominal safety approach, that,  
18 look, the signage is there, drivers are going to  
19 see that, they know -- therefore they know it's  
20 different, and so it must be fine. Because you've  
21 got the posted speed, which is appropriately 10  
22 kilometres an hour under the design speed, drivers  
23 are going to see it, they will behave accordingly.  
24 I mean, isn't that a nominal safety approach?

25 A. Partially yes, but also

1 substantive safety takes into account what has  
2 been communicated and provided and what would be  
3 the resulting outcome because of those information  
4 is provided. So the other part is substantive.  
5 So it's partially nominal, partially substantive.

6 Q. Right, but isn't what we  
7 know substantively is that we've got -- what is  
8 it? If I get the numbers right off the top of my  
9 head, 32 to 48 percent of drivers -- hold on for  
10 one moment -- that we've got 34 to 48 percent of  
11 vehicle speeds at or exceeding the design speed,  
12 and that's despite the posted speed, like that's  
13 what's happening, right?

14 A. Yes, and that I believe  
15 was the review of the safety performance which  
16 recommended to reduce the posted speed limit. As  
17 we discussed earlier, because of the percentage  
18 change, it would -- that decision would not be  
19 changed. It is not going to be increasing the  
20 speed, obviously. It's not going to be a 70 or 60  
21 kilometre reduction in terms of posted speed. It  
22 will be still 80 kilometre reduction from the 90  
23 kilometre posted speed limit.

24 Q. Last thing I want to ask  
25 before I hand it over to Ms. Hendrie, just give me

1 one sec --

2 JUSTICE WILTON-SIEGEL: While  
3 Mr. Lewis is asking that question, I would just  
4 like to understand that last answer. Could you  
5 repeat it.

6 THE WITNESS: I was referring  
7 to the decision came out of that percentage  
8 change. Whether it's 100 or 110, as we discussed  
9 earlier, to reduce the posted speed to 80, that's  
10 probably not going to change, let's say, an  
11 example --

12 JUSTICE WILTON-SIEGEL: The  
13 decision with respect to the posted change isn't  
14 going to -- the posted --

15 THE WITNESS: Posted speed  
16 limit changes to 80, that's correct, yeah.

17 JUSTICE WILTON-SIEGEL: And  
18 that's because?

19 THE WITNESS: So whether it's  
20 30 percent or -- I forgot the number --  
21 22 percent, it's not going to change that decision  
22 that came out of that analysis.

23 JUSTICE WILTON-SIEGEL:  
24 Because at 22 percent it's still too high?

25 THE WITNESS: It is still too

1 high.

2 JUSTICE WILTON-SIEGEL: At

3 22 percent it's still too high?

4 THE WITNESS: Yes.

5 JUSTICE WILTON-SIEGEL: At

6 that level they ought to have reduced the speed

7 limit?

8 THE WITNESS: Regardless, to

9 80 kilometres posted limit, yes.

10 JUSTICE WILTON-SIEGEL: That

11 would be your view?

12 THE WITNESS: That would be my

13 interpretation and professional practice. I

14 understand that's how --

15 JUSTICE WILTON-SIEGEL: If I

16 understand correctly, and again this is just

17 trying to put it in the context of the evidence,

18 what you're really saying is that CIMA ought to

19 have recommended a reduction in the speed limit

20 back in 2015?

21 THE WITNESS: I had not looked

22 at the details when it was suggested. I think the

23 tables that you're referring is 2015. As I

24 understand, when you do an overall review like

25 professionals we do, we typically want to do a

1 complete speed analysis, which I think it was  
2 completed, if I'm not mistaken, 2019, which  
3 ultimately refers to the previous conclusion and  
4 decided. So that's a very normal professional  
5 practice, that you would recommend something from  
6 the preliminary analysis that requires a further  
7 study, and further study will 100 percent confirm  
8 that that's the recommendation would be put  
9 forward with a detail speed analysis which is  
10 completed later on. So this is a typical process  
11 that we follow.

12 JUSTICE WILTON-SIEGEL: But in  
13 2019 the recommendation of CIMA, with essentially  
14 the same information, was to maintain the speed  
15 limit.

16 THE WITNESS: Yeah. I  
17 understand that part, but I think there is also  
18 discussion at some point --

19 JUSTICE WILTON-SIEGEL: One of  
20 the three recommended a lower speed limit at least  
21 for a certain portion of the parkway.

22 THE WITNESS: That's correct.  
23 That's the one I was referring, yes.

24 JUSTICE WILTON-SIEGEL: I see.  
25 And that's what you would have relied on in 2019?

1 THE WITNESS: That's correct.

2 JUSTICE WILTON-SIEGEL: That's  
3 what you would have considered -- okay. Let me  
4 just make a note.

5 MR. LEWIS: While the  
6 Commissioner is writing, Registrar, could you pull  
7 up image 26 from Mr. Karim's report, and then I'll  
8 wait.

9 JUSTICE WILTON-SIEGEL: Okay,  
10 thank you.

11 BY MR. LEWIS:

12 Q. Last thing I wanted to  
13 ask before I hand it over to Ms. Hendrie, and,  
14 Commissioner, I guess it's about 5 after 3:00, so  
15 maybe when I'm done this it might be a good time  
16 to take the afternoon break.

17 So you critique Mr. Brownlee,  
18 and he ultimately agreed with you, as you  
19 describe, that using the pandemic era collision  
20 statistics to make comparisons with  
21 pre-resurfacing and pre-counter measures period,  
22 that that was unreliable, right?

23 A. That's correct.

24 Q. And then here there's  
25 point 1 and 2 at the bottom, and you -- in point 1

1 you note that pre-pandemic but in the short period  
2 in 2019 after the resurfacing pre-pandemic where  
3 CIMA had noted that the proportion of wet  
4 weather -- that they appeared to be significantly  
5 lower in Q4 of 2019, that even though they were  
6 lower, that that's not a sufficient dataset to  
7 make any conclusions from, right? And so you --

8 A. That's correct.

9 Q. -- discounted that as  
10 well, right? Okay.

11 A. That's correct.

12 Q. Right. And Mr. Brownlee  
13 has agreed with you on that as well. But then in  
14 the second point, you go on to say that:

15 "The proportion of wet  
16 condition related collisions  
17 was already declining between  
18 the 2014-2018 and 2015-2019  
19 periods."

20 That you know, right? And  
21 the -- here between those two periods, really what  
22 you've done -- not you, but what happens is one  
23 year gets changed. 2014 gets dropped and 2019  
24 gets added, right? It's one year of the five-year  
25 period is swapped out, right?

1 A. Yes.

2 Q. And the swapped-in year  
3 is 2019, right? And that's the year that includes  
4 the period with the drop which you have indicated  
5 is not statistically significant, right?

6 A. That's correct.

7 Q. So you're discounting for  
8 one purpose, of course, that time period as not  
9 being statistically significant, but then here you  
10 rely -- for the second point, you rely on it  
11 for -- to show that there's a beginning anyway of  
12 a drop in the collisions?

13 A. Yes, I'm not sure it's  
14 statistically significant to make a conclusion, so  
15 I didn't make a conclusion that it is declining.  
16 It needs further study. As I described, the  
17 entire report, rest of the report, that that kind  
18 of slide changes may -- could well go back to  
19 increase.

20 Q. That's fine. I just  
21 wanted to clarify.

22 A. That's not my  
23 interpretation. This is what I understand  
24 Mr. Brownlee's referring, that it has started to  
25 decline, and I just noted that that is the



1 starting point of the decline, but doesn't mean  
2 that it actually has an impact of certain things  
3 or not as a result of certain treatment or not.

4 MR. LEWIS: Okay. That's  
5 fair. Thank you. I don't have any other  
6 questions, and so I'm going hand it over to Ms.  
7 Hendrie, and as I said, I think perhaps this would  
8 be a good time to take the afternoon break.

9 JUSTICE WILTON-SIEGEL: Sure.  
10 I wonder if we might reduce the break to 10  
11 minutes and come back at 3:20.

12 MR. LEWIS: I looked over at  
13 Ms. Hendrie and she indicates that's fine with  
14 her.

15 JUSTICE WILTON-SIEGEL: Stand  
16 adjourned then until 3:20.

17 --- Recess taken at 3:10 p.m.

18 --- Upon resuming at 3:20 p.m.

19 MS. HENDRIE: May I proceed?

20 JUSTICE WILTON-SIEGEL: Please  
21 do.

22 EXAMINATION BY HENDRIE:

23 Q. Good afternoon,  
24 Mr. Karim.

25 A. Good afternoon.

1 Q. The first thing I would  
2 like to talk to you about is the collision rate  
3 analysis that you prepared and that is set out in  
4 your report at table 3. And you spent a fair  
5 amount of time explaining the steps that you took  
6 to get the collision number and the rate that you  
7 provided, and you went through the spreadsheet  
8 with counsel for the City this morning.

9 So I don't intend to take you  
10 through all parts of that, but there are some  
11 questions that I just want to confirm things that  
12 weren't covered.

13 A. Okay.

14 Q. Registrar, if we could  
15 call up HAM64783, and that's the Excel spreadsheet  
16 so it will have to be called up in native.

17 Mr. Karim, while we wait for  
18 the Excel spreadsheet to come up, the filters that  
19 you spoke about this morning with Mr. Chen that  
20 you said you applied to this spreadsheet to get  
21 the collision number that you did, that included  
22 filtering out the non-reportable collisions and  
23 among some other filters, correct?

24 A. That's correct.  
25 Non-reportable and three more just to get the

1 right highway year and excluding the intersection  
2 related crashes, that's correct.

3 Q. So I've applied the same  
4 filters to the spreadsheet, and perhaps,  
5 Registrar, we could -- I may ask you to go to the  
6 sheet that's called "Raw data with filter," but  
7 this is fine for now. Mr. Karim, I can take you  
8 to the spreadsheet -- yeah, thank you, Registrar.

9 So at the bottom there it  
10 says 499, and you talked about this number with  
11 Mr. Chen this morning. This is the number of  
12 collisions that come up when you apply the filters  
13 that we just talked about?

14 A. That's correct.

15 Q. So when I apply the same  
16 filters but include non-reportable collisions,  
17 which is in column AW, the total number of  
18 collisions is 1,003?

19 A. That's correct.

20 Q. That's consistent with  
21 what you -- the total number you've seen in the  
22 spreadsheet when you don't exclude the  
23 non-reportable collisions?

24 A. That's correct.

25 Q. By my math that

1 difference is 504 collisions?

2 A. Roughly, yes.

3 Q. Well, it is 504?

4 A. Yes, yes, that's correct.

5 Q. So as I understand it,  
6 that means that there were, at least according to  
7 this data, 504 self-reported or non-reportable  
8 collisions on the Red Hill Valley Parkway between  
9 2014 and 2018?

10 A. Self-reported data,  
11 that's correct.

12 Q. Well, I believe the  
13 filter that you applied was to exclude  
14 non-reportables but --

15 A. That's correct, yes.

16 Q. And 504 is also the  
17 number of collisions that you report in the crash  
18 rate summary spreadsheet?

19 A. Yes.

20 Q. Right? That's the total  
21 number of collisions that you found?

22 A. That's correct.

23 Q. And I believe you  
24 explained this this morning that the difference  
25 between the 499 number here that we see and the

1 504 number that you report in your chart in the  
2 other tab, that's based on the GIS plotting that  
3 you did?

4 A. Yes, I mean, we made a  
5 decision -- or I made a decision when I looked at  
6 the GIS plotting, there are roughly 10 or 15  
7 crashes at the end and the beginning of those, and  
8 roughly 4 and 5 are very close to the start and  
9 end point. So we added those collisions to the  
10 calculation process. It could be -- if you ask me  
11 in another time, I'll probably add another four or  
12 maybe I'll add six. It's not a precise science in  
13 terms of locations, which is very difficult to say  
14 which one exactly is inside the study area because  
15 the interchanges itself is so huge.

16 Q. Okay. We'll come back to  
17 the plotting in a moment. I just want to focus on  
18 the numbers for a minute. So if my -- again, if  
19 my math is correct, it sort of the inverse.  
20 There's -- if your total is 504, there's 499  
21 collisions that were excluded from your  
22 calculation of the total Red Hill collisions  
23 between 2014 and 2018?

24 A. If I understand  
25 correctly, you're referring the self-reported data

1 is excluded?

2 Q. Yes.

3 A. That's correct, yes.

4 Q. But you'll agree there's  
5 499 collisions that don't make it into your total?

6 A. 499 is used for the  
7 collision rate analysis. The self-reported is not  
8 included in the collision analysis.

9 Q. Okay. Maybe we can go  
10 piece by piece. The number that the spreadsheet  
11 returns when you exclude self-reported  
12 collisions -- or when you include self-reported  
13 collisions is 1,003?

14 A. Yes, I think we agreed  
15 with that point.

16 Q. Yes, okay. But the  
17 number that you include in your total, which I  
18 know excludes self-reported collisions, that's  
19 504?

20 A. Yes.

21 Q. So the difference between  
22 that is 499?

23 A. Yeah, if you compare with  
24 the non-reportable and reportable or  
25 self-reportable, that would be the difference.

1 Q. 499 is about half of  
2 1,003?

3 A. Roughly, yes.

4 Q. You'll agree with me that  
5 excluding the non-reportable collisions, you've  
6 excluded roughly 50 percent of the collisions that  
7 occurred on the Red Hill mainline in that  
8 five-year period from 2014 to 2018?

9 A. There is reason the  
10 non-reported is not included. I think I explained  
11 in the morning. If you want me to repeat, I can  
12 repeat that.

13 Q. No, I've got your reason.  
14 I just want to talk about the numbers. So I don't  
15 think you actually answered my question that  
16 you'll agree with me that by excluding the  
17 self-reported collisions, there's approximately  
18 50 percent of the collisions on the Red Hill  
19 mainline that were excluded from the total?

20 A. Yeah, it was excluded  
21 because of the unreliability of the locations that  
22 is in the self-reported.

23 Q. But it was excluded?

24 A. It is excluded for  
25 unreliable information.

1 Q. And you'll agree with me  
2 that directionally, by excluding that 50 percent  
3 of collisions, that would also have the effect of  
4 reducing the Red Hill collision rate that you  
5 calculated by approximately 50 percent? If  
6 there's half the collisions, half the rate?

7 A. That might be the way  
8 you're looking at. I'm looking at the reportable  
9 collision perspective, which has far more detailed  
10 information which will be farther accurate  
11 compared to the non-reportable data which is, for  
12 example, Greenhill has a lot of non-reportable.  
13 If I include that, it will show the Greenhill  
14 section is much higher collision rate, which in  
15 reality that may be just an error of coding or  
16 whoever information is provided.

17 So in general, professional  
18 practice, whether it's Ministry of Transportation,  
19 City of Toronto, where I work all my professional  
20 life that I worked on all types of collision, we  
21 make a decision based on the reportable collision  
22 data, not always --

23 JUSTICE WILTON-SIEGEL:  
24 Mr. Karim, I appreciate that you want to explain  
25 this, but we've been over this. I should say this



1 isn't about -- it's not an attack on you  
2 personally, if I understand this line of  
3 questioning. But it's going to make the afternoon  
4 very long, so I think it's just a numerical  
5 exercise on the part of commission counsel right  
6 now, if I understand correctly, and I think it  
7 would be helpful if you could just answer the  
8 specific question that's put to you. Mr. Chen  
9 will have an opportunity as well to ask any  
10 re-direct questions that he thinks might be  
11 helpful to the commission. Thank you.

12 THE WITNESS: In terms of,  
13 yes, mathematics, yes, it will be reduced. It  
14 will be different rate compared to the  
15 self-reported.

16 BY MS. HENDRIE:

17 Q. Thank you. And just to  
18 go back to what my question was, it would be about  
19 a 50 percent reduction? If you're taking half the  
20 collisions, it would be about 50 percent?

21 A. Roughly, yes.

22 Q. Thank you. Registrar, we  
23 can close out this spreadsheet. If we can call up  
24 Mr. Karim's report at images 29 to 30. And,  
25 Commissioner, that's pages 26 to 27.

1                   So you spoke about this with  
2 Mr. Chen earlier today, the collision rates that  
3 you calculated for the Red Hill, and that was 0.69  
4 for the northbound and 0.43 for southbound?

5                   A.     That's correct.

6                   Q.     In that same paragraph,  
7 the last sentence, you go on in that paragraph to  
8 talk about the comparable highways and those  
9 collision rates, and then the last sentence there  
10 says:

11                   "When compared with the RHVP  
12 overall collision rate, we  
13 conclude that RHVP safety  
14 performance was similar or in  
15 some cases better than other  
16 provincial highways."

17                   So you don't actually state  
18 what the RHVP overall collision rate is in your  
19 report. When I look at it, my understanding would  
20 be that it would be some combination of the  
21 northbound rate and the southbound rate.

22                   A.     That's correct, it's  
23 roughly .56 or .57.

24                   Q.     Just to sort of backtrack  
25 about what the steps would be, you take the

1 northbound and the southbound and then you'd find  
2 the average of those two?

3 A. Yes, weighted average,  
4 that's correct.

5 Q. You said .56 or .57,  
6 right?

7 A. Yeah, around that. I  
8 don't remember the exact number, but it will be  
9 around that numbers.

10 Q. You know, as we just  
11 discussed, just talking about the numbers here, if  
12 we added back in the self-reported collisions into  
13 the calculation -- sorry, let me just take one  
14 step back.

15 So we talked about before the  
16 number here that you calculated, that's based on  
17 roughly 50 percent of the mainline collisions when  
18 you exclude the non-reportables?

19 A. In terms of number of  
20 collisions, but in terms of number of collision  
21 rate, that could be not exactly proportionately  
22 increased. Because there is a traffic volume that  
23 you were dividing.

24 Q. Well, as I understand it,  
25 the traffic volume would be the same regardless of

1 what collisions are included or excluded?

2 A. Traffic volume the same,  
3 but the distribution of the number of collision  
4 when you include self-reported, it will be  
5 different for different segments. So you will be  
6 dividing same traffic volume to different  
7 collision. So your rate would be obviously not  
8 50 percent increased. It will be somewhere  
9 probably close to .9 or something like that. I'm  
10 just making an educated guess. So around that.  
11 Yeah, it's not double.

12 Q. But it's -- you know, 56  
13 to .9, that's almost double?

14 A. The number is number, so  
15 it's -- I don't know it's double. Point 56 if you  
16 double it is 1.12, so in terms of number, no. But  
17 it will be increased. That's definitely for sure  
18 in terms of math that it will increase.

19 Q. I can take you to CIMA's  
20 2019 collision memo if you would like, but I can  
21 also put it to you, and if you would like me to  
22 call up the report, I can. Am I --

23 A. The report helps.

24 Q. Should be I think pages 4  
25 and 5.

1 A. Yes.

2 Q. So am I right that in  
3 CIMA's 2019 memo, CIMA calculated a rate of 1.01  
4 for the Red Hill for 2013 to 2017?

5 A. When self-reported is  
6 included. They also noted when it is excluded  
7 it's .69 for Red Hill.

8 Q. Recognizing that you  
9 don't have the exact number, I take it you'd agree  
10 with me that when self report collisions -- if  
11 self-reported collisions were added back in to  
12 your calculation, the overall rate that you  
13 calculated would be pretty close, not exact, but  
14 closer to what CIMA got in its memo?

15 A. Yeah, it's both cases  
16 actually -- for example, the amount we completed  
17 without self-reported is actually pretty close to  
18 what they produced, is .69, and if you give and  
19 take the year difference -- because it's not the  
20 same year, right, we're talking about a different  
21 year -- it will be very close. If we use the  
22 different kinds of traffic volume data, there is a  
23 difference because of that. CIMA estimated  
24 traffic volume with some assumption which probably  
25 will increase, so the rate would be slightly

1 higher than on this. But it is within the ranges.  
2 Only .12 difference between what CIMA produced and  
3 what we produced.

4 Q. Thank you. Registrar, we  
5 can close this -- Mr. Karim's report down. I'm  
6 happy to take you to the spreadsheet if you would  
7 like, Mr. Karim, but you spoke earlier -- or we  
8 just looked at the spreadsheet of your collision  
9 rate analysis, and there was a sheet titled "Crash  
10 rate summary," and you went through that with Mr.  
11 Chen this morning as well. And that table set out  
12 your calculations for the Red Hill collision rate  
13 per segment, and there was the total number of  
14 collisions, 504 for the northbound, southbound,  
15 and we also talked about that. And as we talked  
16 about, that number is different from the number  
17 that you get, 499, when you just apply the  
18 filters?

19 A. That number is five  
20 crashes additional when plotted. That's the  
21 reason it's slightly higher.

22 Q. Yeah, the difference is  
23 based on the plotting?

24 A. That's correct, yeah.

25 Q. And I believe you

1 testified this morning that you did that using a  
2 GIS software, that you identified the number of  
3 collisions in each segment using the GIS software?

4 A. For each segment, we use  
5 the GIS software to count accurately using the  
6 coordinates, that's correct.

7 Q. That's the X and Y  
8 coordinates that are provided in column CH and CI  
9 of the raw collision data?

10 A. I don't remember the  
11 column number, but I believe it's the last two  
12 columns, yes.

13 Q. I just want to confirm, I  
14 know that there's a field in the collision data  
15 that has segment IDs, and those are listed in the  
16 City's database, but you didn't do your plotting  
17 for your segmentation using the segment IDs, you  
18 did it using the GIS?

19 A. Yes, the segment ID for  
20 collision and segment data for traffic volume is  
21 different, as we discussed in the morning. If you  
22 want to calculate collision rate, it has to be the  
23 same segment, so it has to match correctly for  
24 both. That was not possible because of the data  
25 format that is given to us, so we had to plot it

1 to match the exact same segment as the same number  
2 of collision in the traffic volume data provided.  
3 So that's the matching exercise is only possible  
4 to do through the GIS, because traffic volume, I  
5 cannot change it because it's already given. What  
6 I can change and plot and count are number of  
7 collision in the segment matching the traffic  
8 volume.

9 Q. Am I correct that to  
10 verify or to check the number, the collision  
11 totals that you listed in each segment in your  
12 table and in that summary chart, you'd need to  
13 refer back to that GIS plotting?

14 A. Yes, roughly that's how  
15 it was produced, number of collision for each  
16 segment.

17 Q. And your -- the GIS  
18 plotting that you used when you were putting those  
19 numbers into your chart, that hasn't been produced  
20 to the inquiry as part of you're underlying  
21 analysis?

22 A. I did not say that. It  
23 was the purpose of exercise to count the number of  
24 collisions.

25 Q. You didn't say that?



1                   A.    No, we plotted so many  
2 data and mapping. It's just impossible to keep  
3 track of all the data. We plotted self-reported,  
4 we plotted non-self-reported. I don't  
5 specifically remember whether I saved it or not.  
6 I just know that we looked at the screen and the  
7 mapping, how many collisions are there and so on.  
8 We looked for that mapping data file. I couldn't  
9 find it, but it is very easy to reproduce.  
10 Anybody can plot it using the GIS coordinates.  
11 It's very easy.

12                   Q.    Sure, sure. I mean, you  
13 did -- I think you said earlier that if you had  
14 asked -- if I asked you another time, you might  
15 add -- you said you might add four or six to  
16 another location or six and it's not a very  
17 precise science in terms of location?

18                   A.    Yeah, it's very difficult  
19 to pinpoint exactly which is the end point of the  
20 study area because the interchange is so large, it  
21 could be off by a few metres automatically. If  
22 you ask for another person, they will probably  
23 pick 10 collisions. But it's not going to  
24 materially change the collision rate estimation.

25                   Q.    Mr. Karim, I anticipate

1 that Mr. Brownlee, he will testify that his firm  
2 has attempted to recreate your GIS plotting based  
3 on the information that was provided yesterday  
4 about the process that you employed, and that they  
5 did so using the new filters that we've spoken  
6 about today that we were advised about on  
7 February 20th, and that they haven't been able to  
8 recreate the analysis. I also anticipate that  
9 Mr. Brownlee will testify that they tried to  
10 recreate the analysis using the old filters or the  
11 original filters that were advised about on  
12 February 10th, that excluded collisions with  
13 characteristic of ramp in either road 1 or road 2,  
14 and collisions at intersections and collisions  
15 with traffic control as traffic signal and stop  
16 sign, and that they also haven't been able to  
17 recreate or confirm the analysis.

18 So out of fairness to you, I  
19 wanted to just put that to you and to confirm that  
20 you stand by your analysis?

21 A. Definitely. When -- I  
22 should add just one clarification that if the  
23 exercise that we have done to count the number of  
24 collisions segment by segment, it would be always  
25 different, slightly different, so it could be some

1 people picking 10 collisions for certain segment.  
2 When I look at, I will probably say it's 12  
3 collision and other segment is eight collisions.  
4 So there will be always a mismatch when you  
5 actually plot it, depending on the person that  
6 looking at that data, but alternate collision  
7 numbers would not change or it will be very close  
8 to the collision rate that we produced.

9 Q. Staying on the segment  
10 piece of your analysis but slightly different  
11 focus.

12 Registrar, can we call up Mr.  
13 Karim's report at images 29 and 30. Commissioner,  
14 this is at pages 26 and 27 of Mr. Karim's report.

15 As I understand it, the table  
16 3 here, that sets out what the limits of your  
17 analysis for the collision rate was, right? The  
18 place on the Red Hill that you started and the  
19 place on the Red Hill that you stopped.

20 A. That's correct.

21 Q. So that's the Dartnall on  
22 ramp at the south end and the Barton off ramp at  
23 the north end?

24 A. That's correct.

25 Q. Registrar, if we can call

1 up CIMA's 2019 collision rates memo which is  
2 HAM54494. Believe it's at image 3.

3 So, Mr. Karim, just keep those  
4 -- I can't do them both because your chart  
5 straddles --

6 A. I have them in front of  
7 me.

8 Q. Great. Registrar, let me  
9 know if you need me to call out the doc ID again.

10 You'll see here CIMA does  
11 something similar in its collision rate chart and  
12 it sets out the limits that it uses for the Red  
13 Hill. And that's the LINC at the south end and  
14 the CN Railway overpass at the north end.

15 A. Yes, CIMA had one extra  
16 link after Barton.

17 Q. And that's an extra link  
18 that's on the Red Hill mainline?

19 A. Yes, we didn't have the  
20 traffic volume of that section, so we couldn't  
21 calculate that segment collision rate.

22 Q. So that segment collision  
23 rate isn't included in your analysis?

24 A. We didn't have the data  
25 estimate that, that's correct.

1 Q. That's not -- just to  
2 confirm, that isn't stated anywhere in your  
3 report.

4 A. The segment is listed so  
5 I believe it's very easy to understand, the  
6 segment from our table.

7 Q. Just to confirm, any  
8 collisions -- and you might have already touched  
9 on this -- but collisions that occurred in that  
10 segment between the Barton off ramp and the CN  
11 overpass, those aren't captured in your collision  
12 rate?

13 A. Yes, we didn't have the  
14 data to calculate that collision for that segment.

15 Q. Thank you, Registrar, we  
16 can close this down.

17 The last area that I just  
18 wanted to touch on, Mr. Karim, is that SMV rear  
19 end collision plotting that you did. You talked  
20 at length about it in your examination earlier.  
21 And when you were talking about it with Mr. Chen  
22 one of the things that you commented on was the  
23 randomness of collisions. In a year you might  
24 have a spike up or down of a certain type of  
25 collision.

1 A. That's correct.

2 Q. And that's -- that was  
3 what showed up when you plotted the SMV and rear  
4 end collisions. There were spikes year over year?

5 A. Yes, it goes up and down  
6 around the average values which is because of that  
7 randomness of the nature, it has a certain range  
8 that it fluctuates between that range.

9 Q. So in his report when  
10 Mr. Brownlee was making reference to the  
11 proportion of single motor vehicle and rear end  
12 collisions and there was some plotting in figure  
13 17 of his report on those trends, and that  
14 plotting was based on the 2017 and 2021 annual  
15 collision reports that the City prepares.

16 A. Sorry, can you please  
17 repeat the number.

18 Q. It's page 25 of Mr.  
19 Brownlee's --

20 A. Mr. Brownlee's report,  
21 yes.

22 Q. So the annual collision  
23 data that Mr. Brownlee plots out that is obtained  
24 from the annual collision reports, that's based on  
25 -- those data points are all based on five-year

1 collision averages, right? So for the 2017 annual  
2 collision report it's based on the average from  
3 2013 to 2017?

4 A. Yeah. I think the  
5 difference between what we did and Mr. Brownlee  
6 did is the average value of some in year for each  
7 point. That's a different approach to plot.

8 JUSTICE WILTON-SIEGEL: Sorry,  
9 you want to give me that again. What's the  
10 difference?

11 THE WITNESS: The difference  
12 is in our report we plotted every year data. We  
13 did not average in number of year data.  
14 Mr. Brownlee's reporting figure actually is figure  
15 18, not 17, that -- you're referring to 18, right.

16 MS. HENDRIE: 17 and 18, both,  
17 plot five-year collision.

18 THE WITNESS: I can see the  
19 year, it's an average likely -- I would assume is  
20 an average of those four-year data is one point.  
21 Now a case we plotted each year data. We did not  
22 take an average multiple year to --

23 JUSTICE WILTON-SIEGEL:  
24 One-year average versus five-year average.

25 THE WITNESS: One-year data

1 versus five-year average, that's correct.

2 JUSTICE WILTON-SIEGEL: Yes.

3 BY MS. HENDRIE:

4 Q. My understanding is it's  
5 industry good practice to use data points that are  
6 comprised of three-to-five year or multiple years  
7 of data, the average for that, when you're  
8 assessing long term or sustained collision trends.  
9 Do you agree with that?

10 A. Yes. This is a different  
11 issue though. This is not -- we were talking  
12 about before and after. Before would be one way  
13 to calculate and after there is another five year  
14 and so on.

15 Q. Okay. But part of the  
16 reason that it helps to look at a three to five  
17 year average over a sustained period of time is  
18 because it helps to normalize some of the  
19 randomness of collisions.

20 A. I think we're talking  
21 about different subject. If you're talking about  
22 before and after we have a process that produces  
23 (indiscernible) or safety performance function, we  
24 call it. It produces an expected value before and  
25 it is producing after completely separate, so it's



1 not connected. It's completely separate after  
2 certain number of years. And there will be  
3 gapping between when certain implementation was  
4 done in terms of safety improvement. So it's two  
5 equations, so would be compared with before and  
6 after.

7 What we're talking about, this  
8 is completely different process. This is not a  
9 before and after study. This is a plotting  
10 exercise averaging certain years, and that's not  
11 the same thing. I'm just trying to explain that  
12 those two are different.

13 MS. HENDRIE: Commissioner,  
14 just give me a moment just to check my notes.  
15 Thank you, Commissioner, those are all my  
16 questions for Mr. Karim.

17 JUSTICE WILTON-SIEGEL: Thank  
18 you. I think Mr. Chen has a right to re-examine.  
19 Do you have any questions, Mr. Chen?

20 MR. CHEN: I do,  
21 Mr. Commissioner.

22 JUSTICE WILTON-SIEGEL: Go  
23 ahead.

24 MR. CHEN: If I can just raise  
25 one point, Mr. Commissioner, coming out of Ms.

1 Hendrie's cross-examination regarding a new  
2 analysis by Mr. Brownlee, which was not produced  
3 to us at all following a discussion with  
4 Mr. Brownlee, and I wonder if anything would be  
5 forthcoming or whether Mr. Karim would be entitled  
6 to actually review that analysis and provide his  
7 comments.

8 JUSTICE WILTON-SIEGEL: Well,  
9 I'm not sure what analysis you're talking about.

10 MR. CHEN: With respect to  
11 Mr. Brownlee's attempt at plotting the --

12 JUSTICE WILTON-SIEGEL: I  
13 think all that is premature. We haven't heard it.  
14 A question was put and we're a long way from  
15 seeing any analysis of Mr. Brownlee's evidence.  
16 We can revisit this, Mr. Chen. We're not going to  
17 deal with it right now.

18 MR. CHEN: Okay. We'll put a  
19 placeholder there. Understood.

20 EXAMINATION BY MR. CHEN (CONT'D):

21 Q. Mr. Karim, you were asked  
22 some questions by Ms. Hendrie about what happens  
23 if you include the non-reportable collisions, and  
24 I'm just trying to understand on the fly a little  
25 bit, but I understood the nature of those

1 questions is whether including non-reportables  
2 would result in a proportional increase in the  
3 collision rate. Do you recall that set of  
4 questions?

5 A. That's correct.

6 Q. And there was a  
7 discussion about mathematically 50 percent or  
8 doubling the collisions by 50 percent would result  
9 in a 50 percent increase and in the collision  
10 rate. I appreciate that mathematical point. But  
11 from a traffic safety perspective and looking at  
12 collision data, do you agree that including  
13 self-reported collisions would result in a  
14 proportional increase in the collision rate?

15 A. It would result in  
16 increase of collision rate but I -- as we  
17 discussed and explained earlier it's not going to  
18 be exactly same increase in terms of number that  
19 -- for example, 50 percent increase. The  
20 collision rate might increase 40 percent,  
21 35 percent. I don't have the exact number to give  
22 you. That's because we have the traffic volume  
23 which would be dividing the collision numbers.  
24 And when you include the self-reported numbers the  
25 distribution of the segment and the collision in

1 different segments would be different.

2                                 So you would not be dividing  
3 the same number of collisions with the traffic  
4 volume from different segment, right. So because  
5 of that difference it's not going to be double.  
6 The collision rate is not going to be exactly  
7 double. It could be something less than 1.0. I  
8 can't really give you exact number what would be  
9 the self-reported including collision rate at this  
10 point, but it's not going to be exactly double.  
11 That's not mathematically as possible.

12                                 Q. In your response you had  
13 talked about the reliability of self-reports.  
14 What, if any, connection does that have with the  
15 analysis?

16                                 A. So when we're assigning  
17 the collision -- number of collision for different  
18 segments because of the location on liability and  
19 its concentrated the self-reported data at certain  
20 crossroads, you would end up with some of the  
21 section very high collision numbers and if you  
22 divide by traffic volume of that section you end  
23 up with some of the section that is probably  
24 because of done reliable nature, you end up with  
25 higher collision for a certain segment.

1 I give you an example, is  
2 Greenhill to King Street. It's one of the  
3 location that the self-reported data is six times  
4 higher than the reported data. In that section if  
5 you include self-reported data you end up with  
6 very high collision rate which may not be in  
7 reality is a safety problem. In reality it's  
8 somebody choose to decide reported data close to  
9 Greenhill instead of actual location. And that  
10 segment, if you go by that you end up recommending  
11 your client, the Greenhill to King Street, or near  
12 Greenhill, has safety problem. And that's a very  
13 big departure from where actual safety problem  
14 lays, as we discussed in the morning, is probably  
15 not of King Street or around King Street and  
16 Queenston.

17 So you're shifting your focus  
18 from King Street, or the constrained area, to a  
19 less constrained area because of self-reported  
20 data. And if City invested the money and  
21 resources to correct the apparent safety problem  
22 using the self-reported data that's probably --  
23 you're investing money and resources to the  
24 location is that doesn't exist or doesn't require  
25 that kind of attention.

1 JUSTICE WILTON-SIEGEL: I  
2 think you're just repeating what you said this  
3 morning.

4 THE WITNESS: That's correct.

5 JUSTICE WILTON-SIEGEL: The  
6 question asked was more specific, was the  
7 relationship --

8 MR. CHEN: I think perhaps it  
9 was a product of the -- I'll admit a question  
10 that's not specific. Mr. Karim seems to be  
11 answering why plotting self-reports may be  
12 unreliable.

13 BY MR. CHEN:

14 Q. The question is, and I  
15 thought this is what you had said in your  
16 evidence, why are self-reports in and of  
17 themselves unreliable?

18 A. That's correct.

19 Q. Why is that?

20 A. Self-reported data?

21 Q. Correct.

22 A. That's one of the  
23 reasons, as I mentioned, is location. The other  
24 reasons are self-reported doesn't come with the  
25 details of the collision, so it's maybe the

1 surface condition is not listed, it may be the  
2 weather information is not listed. There are a  
3 lot of other details that collected by the police  
4 is not included in the self-reported.

5 So if you are analyzing, for  
6 example, wet road pavement using self-reported  
7 data, you will have partial information for some,  
8 including road condition, but because the other  
9 are not reported you would be excluding the wet  
10 road for the self-reported. So it will be a  
11 partial view, and it's obviously unreliable when  
12 those attributes of the collisions are not listed  
13 or coded properly or reported properly.

14 Q. When it comes to  
15 self-reports and the involvement of I guess  
16 different individuals how many self-reports are  
17 usually generated from a single accident?

18 A. That's also another  
19 social fund reliability. For example, if three  
20 person in the car they might produce three  
21 different self-reporting. They might do one or  
22 they could do three, and that could be another  
23 source of error in terms of the way that  
24 self-reported is logged and registered and  
25 recorded later on.

1 Q. I guess tying it back  
2 then, we have the number that was mentioned being  
3 504 self-reports. I think what you're saying is  
4 that doesn't mean it results in 504 collisions?

5 A. I don't know the answer.  
6 That might be less than 504 if it was incorrectly  
7 coded or reported. Reported data would be correct  
8 is verified by police, there will be no changes in  
9 the reported data collision numbers.

10 MR. CHEN: Those are my  
11 questions.

12 JUSTICE WILTON-SIEGEL: Thank  
13 you. Mr. Karim, just before you go I have one  
14 question which I wouldn't even dignify as  
15 mathematical, I would say it purely arithmetic.

16 When we talk about the numeric  
17 effect of adding in 504, whatever, you're  
18 basically saying because you're doing this on a  
19 weighted average, segment by segment basis, or  
20 segmented basis, the distribution of the  
21 non-reported will differ from the distribution of  
22 the three other classes that have already been  
23 incorporated into the calculation.

24 Do I take it that the  
25 distribution of the non-reported, as you believe



1 it to be, would fall more heavily on the more  
2 heavily trafficked areas? Is that why the number  
3 would be less than simple doubling?

4 THE WITNESS: Yes. So one of  
5 the reason is difference in traffic volume now  
6 that you have a different distribution.

7 JUSTICE WILTON-SIEGEL: I'm  
8 just -- I think that's the only variable that  
9 we're talking about, isn't it?

10 THE WITNESS: That's correct,  
11 yeah, different traffic volume that you're  
12 dividing.

13 JUSTICE WILTON-SIEGEL: You're  
14 saying the traffic volumes of the non-reported  
15 you think would be higher than - sorry, the  
16 distribution in favour of the high traffic volume  
17 areas would be greater with the non-reported.

18 THE WITNESS: I don't know it  
19 will be traffic volume is higher or lower. What I  
20 explained earlier -- for example, King and  
21 Greenhill. Their self-reported data is heavily  
22 concentrated on that location.

23 JUSTICE WILTON-SIEGEL: But  
24 for that to have a mathematical impact --

25 THE WITNESS: That will have a

1 mathematical impact because you're dividing by  
2 traffic volume, yes.

3 JUSTICE WILTON-SIEGEL: Right.

4 THE WITNESS: Not necessarily  
5 -- the self-reported data occurs in the less or  
6 heavily traffic.

7 JUSTICE WILTON-SIEGEL: No,  
8 no, I wasn't suggesting that. But they would tilt  
9 more -- less than one or less than 50 percent, you  
10 would have to have a greater distribution in the  
11 higher traffic volume areas I think  
12 mathematically --

13 THE WITNESS: That's -- yes.

14 JUSTICE WILTON-SIEGEL: Okay,  
15 thank you.

16 I think unless anyone has any  
17 issue that we have to raise, I want to thank  
18 Mr. Karim both for your report and you're the time  
19 that you've spent with us today, it has been very  
20 helpful to the inquiry.

21 THE WITNESS: Thank you  
22 everyone. Have a nice day.

23 JUSTICE WILTON-SIEGEL: And  
24 you're excused. You're welcome to stay on if you  
25 also want to watch, but the next witness will be

1 Mr. Brownlee. I think we'll take five minutes to  
2 arrange for Mr. Brownlee to be brought on-line, so  
3 let's adjourn until 4:15.

4 MS. HENDRIE: Just one thing,  
5 Mr. Commissioner, I wanted to note. Mr. Brownlee  
6 has a hard stop at 5:15 so I'll try to keep my  
7 questions brief, but he does have a hard stop at  
8 5:15.

9 JUSTICE WILTON-SIEGEL: So  
10 we'll stand adjourned until 4:15.

11 --- Recess taken at 4:07 p.m.

12 --- Upon resuming at 4:15 p.m.

13 PREVIOUSLY AFFIRMED: ROBERT BROWNLEE;

14 EXAMINATION BY MS. HENDRIE (CONT'D):

15 Q. Mr. Brownlee back to  
16 finish his examination. He was previously  
17 affirmed last Friday but I just remind him of  
18 that.

19 Mr. Brownlee, I understand you  
20 listened to Mr. Karim's testimony today and you've  
21 also reviewed some of the spreadsheets of analysis  
22 that we went through with him today.

23 A. Sorry, Counsel, I'm  
24 getting a lot of feedback.

25 JUSTICE WILTON-SIEGEL: I

1 wonder whether it makes sense if Mr. Brownlee  
2 signed off and signed back on.

3 MS. HENDRIE: Maybe  
4 Mr. Brownlee could you try unplug your headphones  
5 first. Any better?

6 THE WITNESS: Okay. Can you  
7 hear me well?

8 JUSTICE WILTON-SIEGEL: Yes.

9 THE WITNESS: I can hear as  
10 well.

11 BY MS. HENDRIE:

12 Q. So perhaps I'll just  
13 repeat with the benefit of less feedback on your  
14 end.

15 I understand that you listened  
16 to Mr. Karim's testimony this morning and this  
17 afternoon and that you've reviewed some of the  
18 spreads of analysis that -- you're shaking your  
19 head.

20 I take it you still have  
21 feedback? So perhaps, Commissioner, may we should  
22 have Mr. Brownlee sign back off and back on?

23 JUSTICE WILTON-SIEGEL: I  
24 think that's one possibility.

25 THE WITNESS: So I'll leave.

1 JUSTICE WILTON-SIEGEL: I  
2 think you better do that. I'll just go on mute.

3 MS. HENDRIE: If we could just  
4 go off the live feed.

5 (DISCUSSION OFF THE RECORD)

6 MS. HENDRIE: Thank you,  
7 Mr. Commissioner. We have Mr. Brownlee back.  
8 Less feedback on his end.

9 Q. Mr. Brownlee, as I said  
10 before, it's my understanding that you listened to  
11 Mr. Karim's testimony this morning and this  
12 afternoon and that you've also obviously reviewed  
13 his report and reviewed some of the spreadsheets  
14 of analysis that he was taken through today.

15 A. Yes.

16 Q. And so I want to start  
17 first with some of the evidence that was discussed  
18 earlier about collision rates and non-reportable  
19 or self-reported collisions.

20 In your experience, is it good  
21 industry practice to include non-reportable or  
22 self-reported collisions in addition to  
23 police-reported collisions when calculating  
24 collision frequencies or collision numbers for a  
25 collision rate?

1                   A.    Yes.  I would like to  
2    make one clarification first in terms of the  
3    terminology that we've been using today.  A  
4    self-reported or a non-reportable collision in a  
5    database does not necessarily mean it's a  
6    self-reported collision by an individual at a  
7    reporting centre.  Those are two different terms.

8                   A self-reported collision is,  
9    yes, somebody whose gone into the reporting  
10   centres.  A non-reportable collision refers to the  
11   lack of an injury and below a certain dollar  
12   value, which in Ontario is currently \$2,000 worth  
13   of damage that needs to be reported if it's above  
14   those levels or there's an injury.

15                  So to just give a quick  
16   example, not to belabour it too much.  If a police  
17   officer shows up at a collision and there's less  
18   than \$2,000 worth of damage and there's no  
19   personal injuries, he may conclude that that is a  
20   non-reportable collision and still may fill out a  
21   motor vehicle accident report.

22                  So to use -- and vice versa as  
23   well.  Somebody could go to a collision reporting  
24   centre and report a collision and it could become  
25   an injury or a property damage collision.  So to

1 interchange those two as if they are in the exact  
2 same occurrence is fundamentally incorrect.

3 Q. Thank you. So just to  
4 sort of confirm that I understand that. You could  
5 have a non-reportable collision where there was a  
6 police report prepared. It just didn't meet the  
7 threshold for a reportable collision?

8 A. Correct.

9 Q. And just to go back. I  
10 think you said yes to my question, but to go back  
11 to my question before. Is it industry good  
12 practice in your experience to include  
13 non-reportable collisions when calculating  
14 collision frequencies for collision rate?

15 A. Yes. These are  
16 collisions that have happened. They under a  
17 specific threshold but if somebody gets rear-ended  
18 it's an actual collision. To take them out of a  
19 collision rate calculation is discounting the  
20 conflict that's on that corridor.

21 Q. So what effect would  
22 there be if you exclude non-reportable collisions  
23 from the collision frequency component of a  
24 collision rate?

25 A. The inquiry has heard

1 today, in this case it's a very substantial  
2 portion of the collisions that have been taken out  
3 of the analysis or excluded from the analysis.

4 Q. In respect of the Red  
5 Hill rate?

6 A. Yes.

7 Q. Thank you. Mr. Karim in  
8 his testimony spoke about unreliability or  
9 inaccuracies in non-reportable collisions or  
10 self-reported collision data. Are you familiar  
11 with some of the inaccuracies that he identified?

12 A. In self-reporting  
13 collisions, yes. As he indicated, there are  
14 specific attributes that aren't even picked up on  
15 a self-reporting collision form. So when we're  
16 looking at those specific attributes we're going  
17 to shy away from the self-reported type collisions  
18 to create those trends. However, the presence of  
19 a collision and generally the impact type, and I  
20 think Mr. Karim agreed to this wording, that would  
21 be more reliable, would be impact type, we would  
22 include those self-reported collisions in that  
23 scenario.

24 Q. You may have touched this  
25 before, but from your perspective is there any



1 utility to plotting or doing a collision rate  
2 analysis when you exclude non-reportable  
3 collisions?

4 A. It's going to  
5 under-report the conflict and the collisions that  
6 have occurred on that corridor.

7 Q. Moving now to the SMV  
8 rear end collision plotting in Mr. Karim's report,  
9 and that's at figure 3 of his report, which is on  
10 -- Registrar, we don't need to call it up but,  
11 Mr. Brownlee, I can if you like. It's on page 28  
12 of Mr. Karim's report which is image 31.

13 And today in his evidence  
14 Mr. Karim also was taken to another spreadsheet of  
15 analysis that he prepared in respect of the SMV  
16 rear end collision plotting. So Mr. Karim's  
17 plotting sets out the proportion of SMV and rear  
18 end collisions for each year from 2008 to 2020 at  
19 least the figure 3 in his report does.

20 In your experience,  
21 Mr. Brownlee, what is industry best practice when  
22 you set out or assess long term or sustained  
23 collision trends?

24 A. I think it's been  
25 well-documented today, and in Mr. Karim's report

1 that we generally would look at a longer term  
2 analysis period, three to five years is what's  
3 recommended, we get more where things are -- all  
4 else is equal we'd love to get 10 years worth of  
5 data to look at long term trends.

6 Q. Why is that?

7 A. In looking at the plots  
8 created for the 30 FE report, you can see  
9 collisions are random. He's done a good job of  
10 proving that. From year to year we're going to  
11 have fluctuations at intersections, collision  
12 types you name it. We understand that in the  
13 industry and -- but what we have to ensure is that  
14 we're not looking at those short term trends, that  
15 we're aggregating the data over a longer period of  
16 time so we can get rid of what we call regression  
17 to the mean, which is essentially -- account for  
18 it so that we can establish that those trends  
19 actually exist or not.

20 So looking year over year,  
21 yeah, all collision data is going look that  
22 random, it's not any surprise to anybody whose  
23 practice is in the industry.

24 MS. HENDRIE: Thank you. Just  
25 one moment, Commissioner. Thank you Commissioner.

1 I said I would be brief and I was. Mr. Brownlee,  
2 those are all my questions for you.

3 JUSTICE WILTON-SIEGEL: I'm  
4 expecting that the only counsel that will would  
5 have interest would be Mr. Chen.

6 MS. HENDRIE: I was just going  
7 to say I haven't canvassed other counsel so I'm  
8 not aware but --

9 JUSTICE WILTON-SIEGEL: Why  
10 don't we check in with the other counsel right  
11 now. Anyone for Golder?

12 MS. JENNIFER ROBERTS:  
13 Commissioner, thank you. No questions.

14 JUSTICE WILTON-SIEGEL:  
15 Mr. Buck for Dufferin.

16 MR. BUCK: No questions.

17 JUSTICE WILTON-SIEGEL:  
18 Mr. Bourrier?

19 MR. BOURRIER: No questions,  
20 thank you, Commissioner.

21 JUSTICE WILTON-SIEGEL: So  
22 over to Mr. Chen.

23 MR. CHEN: May I ask for just  
24 five minutes as the evidence that Mr. Brownlee  
25 just provided is very fresh and I expect I need to

1 pull up a spreadsheet.

2 JUSTICE WILTON-SIEGEL: All  
3 right. We'll return in five minutes.

4 MS. HENDRIE: I did say this  
5 before but just as a reminder, Mr. Brownlee does  
6 have a hard stop at 5:15.

7 JUSTICE WILTON-SIEGEL: Let's  
8 stand adjourned until 25 to 5:00.

9 --- Recess taken at 4:29 p.m.

10 --- Upon resuming at 4:35 p.m.

11 JUSTICE WILTON-SIEGEL:  
12 Mr. Chen.

13 MR. CHEN: Thank you,  
14 Mr. Commissioner.

15 EXAMINATION BY MR. CHEN (CONT'D):

16 Q. Mr. Brownlee, you talked  
17 about the difference between self-reported and  
18 non-reported collisions just moments ago.

19 A. Yes.

20 Q. Is it fair to say that  
21 most non-reportable, non-reported collisions are  
22 self-reported collisions?

23 A. There would be a good  
24 size of overlap between the two, yes.

25 Q. Do you know how that

1 applies to the collision data that you've seen and  
2 that Mr. Karim has relied on?

3 A. Self-reported was not  
4 identified in the collision data that Mr. Karim  
5 relied upon, it was only reportable or not.

6 Q. There was only --

7 A. Sorry, they were  
8 classified as fatal, injury, property damage only,  
9 and not reportable.

10 Q. I just want to  
11 understand. It's probably best we pull up the  
12 spreadsheet. Impose on Ms. Contractor again. A  
13 slight technical issue, I apologize. Maybe we can  
14 start with the accident number column,  
15 Mr. Brownlee. Column B?

16 A. Yes.

17 Q. So you'll see looking at  
18 -- just freeze there -- row 2 for example.

19 There's the accident number, so B2, 2013 684437.

20 Do you see that?

21 A. Yes.

22 Q. And row 3, the accident  
23 number is a bit longer. Do you know the  
24 distinction between -- what the difference is  
25 between those two?

1 A. Not on this particular  
2 database, no.

3 Q. So I understand that  
4 police reports actually have 10 digits to them so  
5 that would be the shorter number. Does that help  
6 out at all?

7 A. I'm not familiar with  
8 looking at the exact accident numbers, no.

9 Q. Okay.

10 A. Again, I look at the  
11 data.

12 Q. So I put it to you though  
13 that's what the 10 digits represent, the  
14 police-reported collisions.

15 A. That's what you're  
16 suggesting. I don't know otherwise.

17 Q. Well, let me just take  
18 you through the exercise. If we can just add a  
19 couple of filters to search for the Red Hill  
20 collisions. Same filters you've seen before.  
21 2014 to 2018.

22 Before we filter out the  
23 non-reportables, if we can go back to the accident  
24 numbers to see which category comes out.

25 So as I understand it the

1 police reports are the shorter numbers. What's  
2 left now after we only show the non-reportables,  
3 and we can scroll down if you would like, but  
4 those are the accident numbers which are longer.

5 A. Okay.

6 Q. You see that?

7 A. Yes.

8 Q. As a result of that  
9 exercise I put it to you then that all  
10 non-reportables are actually self-reports.

11 A. We would have to look  
12 back at the other combination to see if that --  
13 but it appears that that's a large trend, yes.

14 JUSTICE WILTON-SIEGEL: What's  
15 the number of accidents at the bottom of this  
16 list?

17 MR. CHEN: 504.

18 JUSTICE WILTON-SIEGEL: Do you  
19 want show it to us.

20 MR. CHEN: It's the very small  
21 number at the bottom left of the screen where it  
22 said 504 of 3,482 records.

23 JUSTICE WILTON-SIEGEL: I see.

24 BY MR. CHEN:

25 Q. We can also -- I think

1 Mr. Brownlee is in agreement, but we can filter it  
2 the other way and show the police reports, but I  
3 don't think that's necessary is there. We are on  
4 the same page, Mr. Brownlee?

5 A. Yes, we are.

6 Q. Those are our questions.

7 JUSTICE WILTON-SIEGEL: Okay.

8 Ms. Hendrie, any --

9 MS. HENDRIE: No thank you,

10 Mr. Commissioner.

11 JUSTICE WILTON-SIEGEL: Thank

12 you. Then, Mr. Brownlee, thank you very much.

13 It's been a long day. We appreciate your standing  
14 by in particular, but we also appreciate your  
15 report and your testimony. It's is very helpful  
16 to the inquiry.

17 You're excused and the rest of

18 us will stand adjourned until 9:30 tomorrow

19 morning, and I guess we'll have our last witness.

20 Have a good evening everyone.

21 --- Whereupon at 4:43 p.m. the proceedings were

22 adjourned until Friday, February 24, 2023 at

23 9:30 a.m.

24

25